

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 [The R.M.C. 803 session was called to order at 0844,  
2 7 June 2022.]

3 MJ [Lt Col ROSENOW]: Commission is called to order. All  
4 parties present when we recessed yesterday are again present,  
5 both here in the courtroom and in the Remote Hearing Room. I  
6 note that Mr. Hadi, the accused, is present with us as well  
7 this morning.

8 Trial Counsel, would you please note for the record  
9 where the proceedings are being transmitted by closed-circuit  
10 television? And if it's the same as yesterday, you need only  
11 make that ----

12 TC [MR. SHORT]: Your Honor, it's the same as yesterday.  
13 And everybody that was here yesterday for the prosecution is  
14 here again today.

15 MJ [Lt Col ROSENOW]: Thank you for that.

16 Today we had planned to hear witness testimony from  
17 the senior medical officer and potentially the chief medical  
18 officer pertaining to Appellate Exhibit 214, which we  
19 discussed yesterday in the context of determining whether a  
20 hearing under M.C.R.E. 505(h) was still necessary. As covered  
21 yesterday afternoon, my intent was to begin with testimony  
22 from the senior medical officer not requiring the disclosure  
23 of classified information and then, if required, take the same

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 type of testimony from the chief medical officer.

2 Subject to discussion with the parties at that point  
3 and a continuing request from the government, we would have  
4 then closed the courtroom to hold a hearing under  
5 M.C.R.E. 505(h) to determine the use and relevance of  
6 classified testimony from one or both of these witnesses.

7 Since recessing, a member of my staff was notified by  
8 the government with the defense copied that the senior medical  
9 officer might be unavailable to testify this morning. That  
10 same message confirmed the availability of the chief medical  
11 officer at our start time, however.

12 Trial Counsel, were there any other administrative  
13 exchanges overnight apart from the one I just summarized  
14 involving my staff that should be noted for the record?

15 TC [MR. SHORT]: No, Your Honor.

16 MJ [Lt Col ROSENOW]: Defense counsel?

17 LDC [MS. HENSLER]: No, Your Honor.

18 MJ [Lt Col ROSENOW]: Thank you.

19 Trial Counsel, given this change in the senior medical  
20 officer's availability, do you still oppose taking testimony  
21 from the chief medical officer where the parties agree it does  
22 not require reference to classified information this morning?

23 TC [MR. SHORT]: Your Honor, if I may, I think, you know,

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 some of their testimony would have overlapped for the matter  
2 that's in controversy before the commission in this pretrial  
3 hearing. So because the SMO is unavailable, the chief medical  
4 officer -- I lose some of the argument that I would've made --  
5 he is standing by to testify.

6 I continue my objections over some of the other  
7 information that we talked about yesterday in terms of just  
8 the relevance of where now we know where defense is going to  
9 go. Classification aside, their list of topics reveals a lot  
10 of nonrelevant information.

11 And I think what you put on the record yesterday, in  
12 light of AE 189II and JJ, I think -- I don't know what's in  
13 controversy, right? I mean, there's -- the treating physician  
14 and the CMO -- the SMO and the CMO both agree that an MRI is  
15 warranted. Both have indicated -- or at least the SMO has  
16 indicated that an MRI, there's -- at least the works to get it  
17 here, so there's nothing to compel. I don't know what's in --  
18 at controversy, Your Honor.

19 So to the extent that the CMO testifies, I think -- I  
20 think that the topics and information should be geared to and  
21 only relevant towards their motion that's pending before the  
22 commission.

23 MJ [Lt Col ROSENOW]: Thank you for that.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 Defense Counsel, if you want to be heard briefly, do  
2 you believe that issues in controversy that remain might be  
3 clarified by testimony from the chief medical officer where  
4 that testimony does not include reference to classified  
5 information?

6 DDC [CPT CASCIOLA]: We do, Your Honor, agree with that  
7 and we have some further information that we would like to put  
8 on the record for the commission when Your Honor's willing.

9 MJ [Lt Col ROSENOW]: Is it relevant to this matter?

10 DDC [CPT CASCIOLA]: It is in regards to the CMO's  
11 testimony, yes.

12 MJ [Lt Col ROSENOW]: And is it appropriate for an opening  
13 setting?

14 DDC [CPT CASCIOLA]: It is, sir.

15 MJ [Lt Col ROSENOW]: Go ahead.

16 DDC [CPT CASCIOLA]: I wanted to apprise the court that  
17 last night at approximately 9:21 p.m., the chief medical  
18 officer sent me a message on my cell phone. I did not receive  
19 that message until approximately 10:00 p.m. when I exited the  
20 ELC. The message asked me to call him. I called him.

21 He first relayed to me that he wanted to make sure  
22 that I understood that the SMO was unavailable and facts  
23 regarding the SMO's unavailability. And I certainly

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

**UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT**

1 appreciated that, and I told him so.

2 He also then informed me that he met with trial  
3 counsel yesterday afternoon and discussed his testimony,  
4 obviously, that would be happening today at the commission,  
5 which is proper. As we all know, that happens, and I had  
6 spoken to the chief medical officer multiple times.

7 However, what the chief medical officer then went on  
8 to say is that in his conversations with the trial counsel,  
9 the trial counsel had conveyed to the chief medical officer  
10 that some of his answers to questions may be considered -- and  
11 these are the words of the chief medical officer --  
12 predeliberative, and therefore, should not -- some questions  
13 should not be answered, and should he be faced with questions,  
14 he can use the answer to me and to the commission that that  
15 answer would be predeliberative.

16 The chief medical officer appeared to be very confused  
17 by what this meant. It seemed to me to have a chilling effect  
18 on his testimony today. He was hesitant to come and testify  
19 and give all the information, which because of previous  
20 conversations we have had with chief medical officer, we knew  
21 he would relay to the commission.

22 So I wanted to certainly put that on the record, Your  
23 Honor, and I would ask the commission and Your Honor to do a

**UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT**

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 little bit of a fact-finding process to find out more about  
2 that conversation between trial counsel and the chief medical  
3 officer, specifically in regards to this predeliberative --  
4 I'm going to call it maybe a, quote/unquote, privilege, but  
5 there's no such privilege, as Your Honor is well aware.

6 But I want to make sure that the chief medical officer  
7 feels comfortable testifying today, giving testimony that is  
8 truthful and unobstructed and clear.

9 MJ [Lt Col ROSENOW]: I appreciate the averment that  
10 you've provided to me. Let me ask: Was there any paralegal  
11 or any other individual present for this conversation apart  
12 from yourself with the chief medical officer?

13 DDC [CPT CASCIOLA]: It was over the phone, Your Honor.

14 MJ [Lt Col ROSENOW]: And is the substance of the message  
15 just what you had said, meaning what we have in writing is a  
16 request to connect and there's nothing beyond that?

17 DDC [CPT CASCIOLA]: Yes.

18 MJ [Lt Col ROSENOW]: So no substance, I would say,  
19 included in the written record between the chief medical  
20 officer and you?

21 DDC [CPT CASCIOLA]: It literally says can you call me or  
22 can I call you?

23 MJ [Lt Col ROSENOW]: Understood. I'll hear from the

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 government in a second, but let me just ask: When you propose  
2 the opportunity for the commission to do some fact-finding --  
3 of course, I can always ask questions of witnesses. The  
4 normal sequencing is you all call witnesses, you ask your  
5 questions, and if there are any remaining questions for the  
6 military judge, I have that opportunity. And you may  
7 experience me interfering with your examination sometimes in  
8 the sense of getting a point of clarification settled right  
9 then so that we don't have to come back to it maybe hours  
10 later.

11 In this instance, is there something different or  
12 particular about this exchange that makes it not usefully  
13 explored in the first instance by the interlocutor, you, or  
14 whoever is the representative for the defense?

15 DDC [CPT CASCIOLA]: Yes, Your Honor. Actually, what we  
16 are requesting is that you ask trial counsel about the  
17 conversation just so that we are all on the same page as to  
18 what was discussed and whether or not there is an assertion of  
19 privilege that will be happening during the testimony, because  
20 if there's not an assertion of privilege that's going to be  
21 happening during the testimony, the defense would then ask for  
22 an instruction to the CMO prior to testimony that -- prior to  
23 him testifying that, listen, you can answer all questions

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 truthfully. If the government has an objection, they will  
2 make an objection, I will rule on it, just like in any other  
3 situation.

4 MJ [Lt Col ROSENOW]: Understood. I believe it will be  
5 manifest if the testifying witness refuses to answer a  
6 question -- and this is a general observation, not specific to  
7 the chief medical officer -- a witness invokes a privilege or  
8 a witness avoids answering a direct question that's posed. We  
9 are now oriented as well to the possibility of predeliberative  
10 as a term of art perhaps signaling this concern. So  
11 understood the defense position on this matter.

12 Trial Counsel, if you want to be heard on this before  
13 we turn towards calling the chief medical officer, you can.  
14 I'm not requiring you.

15 TC [MR. SHORT]: Yes, Your Honor. I think I can clear it  
16 up.

17 Captain Casciola is correct in one aspect. The chief  
18 medical officer was a little bit confused of what something I  
19 said last night. And when I was getting him to the trailer,  
20 he asked me the same question. And I said, look -- I said  
21 hold on. I said, I will make objections. You answer the  
22 questions.

23 We are talking about a report that he has authored,

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT



UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 and it is in, I believe, the chop chain, for lack of a better  
2 term, and I said to the extent and it's one of their topic  
3 lists -- on their topic list of that report. That's his  
4 report ----

5 MJ [Lt Col ROSENOW]: The report to Congress?

6 TC [MR. SHORT]: Yes, to Congress, Your Honor. That's his  
7 report to Congress.

8 I have -- I never asked him what was in the report,  
9 and I clearly advised him that the facts are the facts and he  
10 can certainly testify to the facts that probably raise to the  
11 same basis to the report as long as they're relevant and leave  
12 the objections to me. He was -- he was a little confused on  
13 that.

14 And I think I cleared it up this morning; however, I  
15 also had advised him to check with the Office of General  
16 Counsel, who would have been, you know, in his chain for that.  
17 And I clearly told him that I cannot give him any advice as to  
18 how to testify whatsoever, and that he is free to testify to  
19 any way and truthfully when he comes in here.

20 I made sure that he was here this morning. He's  
21 willing to testify. I don't believe there's any chilling  
22 effect whatsoever. There was that a little bit of confusion.  
23 I have no problem with Your Honor clearing it up for him.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1           And I will maintain that objection throughout his  
2 testimony regarding the deliberative process in terms of  
3 what's in that report, because that's a report to Congress and  
4 there are some classified -- from what I understand. I only  
5 asked if it was classified. I asked for the classification,  
6 and he indicated that there was a classified addendum. That's  
7 all.

8           MJ [Lt Col ROSENOW]: Thank you for that clarification.

9           As I understand the concern that's been put to me,  
10 first, I will allow inquiry from the defense counsel on this  
11 line. That falls easily, at least in my measure, within the  
12 broad ambit of Military Commission Rule of Evidence 608(c).  
13 So adduce that evidence.

14           I would highlight to both counsel, as you well know  
15 and might have been mentioned in earlier sessions not  
16 involving this military judge, but involving this commission,  
17 motion practice is not discovery practice. This individual is  
18 not being deposed, and generally you're not to use this  
19 opportunity to present evidence in support of a prayer for  
20 relief to learn new facts.

21           That general observation that I've given, given the  
22 nature of the concerns that have been raised by the defense  
23 counsel will be relaxed in slight. And I will allow the

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 defense counsel to ask more wide-ranging questions as to the  
2 interactions with the trial counsel that preceded the taking  
3 of his testimony with respect to Appellate Exhibit 214.

4 That is not a ruling precluding the raising of  
5 objections that the M.C.R.E. permit from the government. It's  
6 merely table-setting so that the counsel understand what  
7 expectations can be set. When called upon, as is my duty, I  
8 will rule on objections that are raised. And to the extent,  
9 Trial Counsel, that you wish to contest this table setting, as  
10 I put it, in the form of targeted objections to scope,  
11 relevance, or anything else, you certainly are free to do so  
12 within the normal limits of the M.C.R.E.

13 Are there any additional concerns for the defense or  
14 the government regarding this matter at this time? That's the  
15 relief I'm providing. So I'm essentially asking, is there any  
16 other relief you're requesting, Defense or Government, at this  
17 time related to this specific matter before starting  
18 examination of the chief medical officer?

19 DDC [CPT CASCIOLA]: No, Your Honor.

20 MJ [Lt Col ROSENOW]: Trial Counsel?

21 TC [MR. SHORT]: No, Your Honor.

22 MJ [Lt Col ROSENOW]: Understood. Is there anything else  
23 to take up not already covered before I ask the government to

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 produce the chief medical officer and then swear him in when  
2 he arrives?

3 LDC [MS. HENSLER]: Sir, there is one administrative  
4 matter. I just wanted to note for the record that Brian  
5 Ruffin, defense investigator, is no longer present in the --  
6 is not present in the Remote Hearing Room today, but that  
7 defense resource counsel Meghan Skelton is present today.

8 MJ [Lt Col ROSENOW]: In the RHR?

9 LDC [MS. HENSLER]: That's right.

10 MJ [Lt Col ROSENOW]: Thank you.

11 Trial Counsel, anything else?

12 TC [MR. SHORT]: No, Your Honor.

13 MJ [Lt Col ROSENOW]: Thank you. Government, if you  
14 would, please, produce the chief medical officer and place him  
15 under oath.

16 TC [MR. SHORT]: Your Honor, the bailiff is bringing him  
17 in.

18 Good morning, sir. Could you remain standing and face  
19 me. Please raise your -- do you want to swear or affirm, sir?

20 WIT: Swear is fine.

21 **CAPTAIN CORRY JEB KUCIK, U.S. Navy, was called as a witness**  
22 **for the defense, was sworn, and testified as follows:**

23 TC [MR. SHORT]: Sir, you may have a seat. Please provide

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

**UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT**

1 your name, rank, and duty station for the commission.

2 WIT: Corry Jeb Kucik, Captain, Medical Corp, United  
3 States Navy. Currently chief medical officer United States  
4 Naval Station Guantanamo Bay, Cuba, Office of Assistant  
5 Secretary of Defense for Health Affairs.

6 TC [MR. SHORT]: Thank you, sir.

7 MJ [Lt Col ROSENOW]: Defense?

8 DDC [CPT CASCIOLA]: Your Honor, may I proceed?

9 MJ [Lt Col ROSENOW]: You can.

10 **DIRECT EXAMINATION**

11 **Questions by the Deputy Defense Counsel [CPT CASCIOLA]:**

12 Q. Good morning, sir. How are you?

13 A. Doing well. How are you?

14 Q. Doing well, sir. And, sir, would you like to remove  
15 your mask? I can ask ----

16 A. Sure.

17 MJ [Lt Col ROSENOW]: That's fair. And just so, you know,  
18 sir, those are the accommodations that we've made within the  
19 context of this military commission. It's important that they  
20 be able to see you when they're talking to you, that they can  
21 understand you as well. One of the benefits of the witness  
22 stand is that you are naturally distanced from everyone else.  
23 I would ask you to put back on the mask whenever you end up

**UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT**

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 departing from your testimony, however.

2 WIT: Yes.

3 MJ [Lt Col ROSENOW]: Thank you.

4 WIT: Thank you, Your Honor.

5 DDC [CPT CASCIOLA]: Thank you, Your Honor.

6 Q. Sir, I'd like to start with a little bit about your  
7 background and training, if that's fair.

8 A. Sure.

9 Q. So what certifications do you have?

10 A. Well, I am a 2001 graduate of the Uniform Services  
11 University. I got my medical degree there. I was a family  
12 medicine intern after that, and then a flight surgeon with the  
13 Marine Corps. After that, went back to residency at Bethesda  
14 for anesthesiology as chief resident there. I finished up  
15 there 2008.

16 After that, I went to Massachusetts General Hospital  
17 to train in critical care medicine, so that's my fellowship.  
18 After that, I was assigned by the Navy to Los Angeles to teach  
19 trauma management for three years in LA County. We have a  
20 trauma training program there.

21 So I'm board certified in anesthesiology, critical  
22 care medicine, and undersea and hyperbaric medicine. I've  
23 been a chief medical officer for two commands prior to this.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 And I'm an anesthesiology board examiner.

2 Q. And here, sir, at Naval Station Guantanamo Bay, your  
3 role is solely as a chief medical officer, correct?

4 A. Yes. My assignment here is a new one, so some of the  
5 details have gradually been worked out. But, yeah, my primary  
6 duty is as chief medical officer. I'm dual-hatted with the  
7 Navy as the anesthesiology specialty leader, as well;  
8 consultant, as you might know in some of the other services.

9 Q. And, sir, you went through some of the specialties --  
10 the medical specialties that you have. But my understanding  
11 is that there's also certifications a physician can get; is  
12 that accurate?

13 A. Yes. Well, it depends on sort of where you want to go  
14 with it. Usually what we do is you become a specialist or a  
15 primary care physician of some flavor based on your residency,  
16 sit for your board examinations in that, and then that is sort  
17 of what you're expected to do the rest of your career.

18 I, having become an anesthesiologist, then didn't  
19 really -- I didn't transition from it, but I took on the  
20 additional skill set of chief medical officer, which is  
21 looking at what is the quality of care being delivered, what  
22 are the processes by which you would improve, you know, the  
23 healthcare system in which you're working, credentialing, risk

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

**UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT**

1 management, quality management, process improvement.

2 Q. And I do have a question I think goes to what you were  
3 just saying, sir. You have a certification or an  
4 accreditation from CJCP. Can you explain what that is?

5 A. Sure. The joint commission, the JC part of that, is  
6 the accrediting body for most healthcare -- for a lot of  
7 healthcare organizations in the U.S. It's not the only one,  
8 but all military hospitals are accredited by the joint  
9 commission. And so a CJCP is a certified joint commission  
10 professional. So that means that you've been through -- been  
11 through the book. And so you know when the surveyors come to  
12 visit, you know, they could see, oh, you're a CJCP. There it  
13 is right there. That you can speak to the language of quality  
14 healthcare and management and improvement.

15 Q. And I want to go a little further into that, if we  
16 can, sir. Lawyers don't know these sorts of things. But when  
17 you say that you go through making sure that there's quality  
18 healthcare in a facility, is there like a -- is there a rubric  
19 that the joint commission goes through when they come to a  
20 facility?

21 A. Yeah. The joint commission will go through several  
22 different chapters -- leadership, quality management,  
23 medication management, life safety, you know, egress systems,

**UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT**



UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 things like that -- and, you know, we'll give chapter and  
2 verse updates pretty much every year as to these are the new  
3 standards we're looking at, these are -- you know, this door  
4 has to be able to withstand fire for two hours, you know,  
5 et cetera. And basically it's just a matter of knowing where  
6 to look, having the references on hand, and then being facile  
7 enough with the system to find the answers that your -- your  
8 bosses, your commanding officer needs.

9 Q. And in addition to going through things like  
10 personnel, and you used the example, sir, of a door, they  
11 would also look at all the equipment in a hospital?

12 A. Right, they definitely would.

13 Q. Sir, before we really get into the bulk of the  
14 questioning today, you and I have spoken before, correct?

15 A. Uh-huh.

16 Q. And is that a yes?

17 A. Yes.

18 Q. And how many prior occasions?

19 A. I would think four or five. We sat down on one single  
20 day together.

21 Q. And did I have any influence over your testimony here  
22 today?

23 A. No.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 Q. Was there anything that I told you I wanted you to say  
2 on the stand today?

3 A. No.

4 Q. And, likewise, you met with trial counsel?

5 A. I did.

6 Q. And when did that occur, sir?

7 A. That occurred yesterday.

8 Q. And my understanding is that there was some discussion  
9 during that about something called the deliberative process.  
10 Can you clarify that, sir?

11 A. Well, and I would ask that, you know -- that's kind of  
12 beyond my pay grade regarding where that is. Part of the  
13 requirement of my job is to publish -- to write a report to  
14 Congress, which now is being edited and, you know, reviewed by  
15 my home office. So that is not -- you know, that is  
16 something, I guess, I need to be somewhat circumspect about  
17 going into because of the nature of some of the  
18 recommendations there are not quite fit for prime time yet.  
19 But, you know, beyond that, the facts of what I've observed  
20 here for, you know, the last 22 months are stable.

21 Q. And, sir, is any part of that report classified?

22 A. Yes.

23 Q. And in terms of your recommendations, are those

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 classified?

2 A. Some of them are or will be.

3 Q. In terms of your recommendations specific to  
4 Mr. Al-Tamir, are those classified?

5 A. Probably there are some that would touch on his case,  
6 yes.

7 Q. Did the conversation with trial counsel yesterday in  
8 any way influence what you -- what your opinion is now, which  
9 is that you, perhaps, should be more circumspect about what  
10 you say that's in the report?

11 A. Well, I was a bit, honestly, surprised about it. I  
12 had not thought about the unfortunate timing of the fact that  
13 I've got a report I've just finished and submitted now in  
14 deliberation and in review and not necessarily having the  
15 guidance from my home office of what is okay for, you know,  
16 this venue as opposed to what is -- what is simply observable  
17 and repeatable fact.

18 Q. To be clear, sir, have you been instructed by anyone  
19 that you cannot divulge unclassified information?

20 A. No, I have not.

21 Q. Have you been instructed that there is a privilege  
22 that you should assert besides whether or not something is  
23 classified or unclassified?

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 A. It has been suggested but not -- but I've not been so  
2 ordered by anyone. What I've recognized, what I've seen, what  
3 I interpret as fact are things that I obviously feel  
4 comfortable with going into if need be.

5 Q. The report that you have submitted, you've submitted  
6 that at this point to -- is it SOUTHCOM?

7 A. No.

8 Q. I'm sorry, then, where did it get submitted to, sir?

9 A. It is currently with -- I'm a direct report to  
10 Assistant Secretary of Defense for Health Affairs. So The  
11 Deputy Assistant Secretary of Defense for Health Services  
12 Policy and Oversight is my colleague, if you will, regarding  
13 detainee matters, even though I direct report to ASDHA, I work  
14 very closely with that DASDI subordinate to her on detainee  
15 matters.

16 Q. Do you anticipate that the report will be returned to  
17 you with modifications or edits suggested?

18 A. Yes. I would anticipate that and then we will go  
19 through a process of, yeah, that's a better idea versus, nope,  
20 I'm really sticking with this one and we'll see. Again, it's  
21 a -- it's a new job. It's the first job that the report has  
22 been required, and it's a learning process for everyone.

23 Q. And I do want to touch on that, sir. You mentioned

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 that this is, basically, a first-time profession that's been  
2 developed here, and the initial development of the chief  
3 medical officer at Naval Station Guantanamo Bay.

4 A. Uh-huh.

5 Q. How long have you been here in that position?

6 A. I've been here since October of 2020.

7 Q. And since October of 2020, what have you done to  
8 acclimate yourself to the position?

9 A. There's a lot of chart review. There's a lot of open  
10 source review. There was learning the camps and the way that  
11 they operate, learning the Joint Medical Group and the manner  
12 in which it brings in personnel, it manages personnel, it uses  
13 one or the other camps' complement, if you will, in terms of  
14 the medical care. Learned about the processes of patient  
15 movement, of referrals, of bringing in specialists. Of  
16 course, a huge portion of it was, of course, the management of  
17 COVID or the, you know, very deliberative delivery of  
18 vaccination. The working through some of the political and  
19 public affairs aspects of getting the vaccine to the detainees  
20 in the first place.

21 Beyond that, in the workings of the naval hospital as  
22 well, which, as you probably know, the naval hospital and the  
23 Joint Medical Group are commanded by the same commander, and

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 so while the JMG is definitely my business, the naval hospital  
2 to some degree is where it comes to detainee care and the  
3 quality received there.

4 So splitting time between both of those and then  
5 continuing to practice to the degree possible at the naval  
6 hospital as part of their medical faculty, mentoring some of  
7 the junior officers there and working to the degree possible  
8 toward process improvement wherever possible.

9 I've said it -- I've made no bones about the -- my  
10 preference to rather not be the inspector but rather be the PI  
11 guy, rather be the good idea fairy, why don't we think about  
12 doing it this way or doing it this way. You know, we can  
13 probably -- not because I want change for change's sake, but  
14 because this is going to become a very demanding mission as  
15 the population ages and they need more and more stuff and they  
16 need more and more specialty care, and it's going to get  
17 harder and harder to get it down here. So we've got to be  
18 more efficient with what we do on a day-to-day basis.

19 Q. Do you feel that, in your opinion, over the two years  
20 you have been in the role of chief medical officer, you have a  
21 solid understanding of all of the components that go into  
22 medical care of detainees?

23 A. I would say I have a better-than-average

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 understanding. I think the business aspect of it is a little  
2 bit -- it takes a little bit extra time to work through  
3 because I don't think those highly reliable sinews have been  
4 built as well as you might like. I think the quality is  
5 overall above average, but the -- and the access to care,  
6 especially at least primary care, is superb.

7 But again, where you're going to find difficulties and  
8 breakdowns and pinch points are the, you know, when we need to  
9 see, for instance, this special study or this special  
10 provider.

11 Q. So in terms of access, regular access to medical care  
12 the detainees have, in your opinion, that's -- they have good  
13 access?

14 A. Yeah. As far as primary care goes, the detainees can  
15 see a primary care physician faster than I can.

16 Q. The problem comes when a detainee has more complicated  
17 medical issues?

18 A. Right. Right.

19 Q. And why?

20 A. Time and distance. Purely that. If it's not resident  
21 here on the island and has to be flown down, then there is  
22 going to be a time delay. There may not be a go-to person  
23 ready, as in, A, we need to find this specialized fill in the

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 blank. So a request has to go out to whatever servicing  
2 organization above, whether that's Naval Medical Forces  
3 Atlantic or sometimes we've had to co-opt the Air Force for  
4 different aspects.

5 But there is definitely a multitude of complications  
6 that come into that sort of care getting here, whether it's  
7 you have to find the person, what do they need, how are you  
8 getting them here, is the weather going to cooperate, are they  
9 credentialed to get in the door, did they remember to bring  
10 everything they possibly could need? Does the naval hospital  
11 supposedly have something and then we end up it's -- finding  
12 out it's not functional?

13 Q. When you talk about this sort of latency, time delay,  
14 what sorts of periods of delay -- what actual quantitative  
15 periods are we talking about? And if you have an example, I'm  
16 more than happy to hear it.

17 A. Well, and it's not something that is simply for care  
18 only coming; even if we had to medevac someone off the island,  
19 if oftentimes is not within what would be the recommended  
20 24-hour holding period. So some of the work I've looked at  
21 that they have kept at the naval hospital has been, you know,  
22 an average of 35 hours for medevac off, and that oftentimes is  
23 a limitation of lift and weather.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT



UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1           Now, for getting things down here, it depends on what  
2 it is we're looking at. I mean, the court-ordered MRI that  
3 was in place here took two and a half years to get here.

4           Q. Let's talk about that particular MRI, since you  
5 brought it up, sir. That MRI arrived on island when? Do you  
6 know?

7           A. I don't -- I don't know exactly when it arrived. It  
8 was here when I arrived and has been, you know, essentially --  
9 I think it's been operational half of my time here.

10          Q. When did it first become apparent to you that it was  
11 no longer operational?

12          A. That would have been, I believe, in November of '21;  
13 I'm not exactly -- I don't have an exact date. And it was one  
14 of these suspicions and got confirmed to me by some of the  
15 medical personnel.

16          Q. And what is wrong with it, to your knowledge?

17          A. It is now -- my understanding, is now demagnetized.  
18 So there was a catastrophic loss of helium, which is required  
19 to maintain the magnetism of the working parts of the MRI. It  
20 was certainly at a low level of maintenance previously,  
21 something that had been discussed both between myself and the  
22 JMG commander at the time, as well as in open -- well, in  
23 secret forum of a deliberative body that oversees the care

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 here, the SMACDP, the Senior Medical Advisory Committee for  
2 Detainee Policy. But that's not a classified issue that we  
3 discussed that.

4 So it was well known to be a problem, but it was  
5 amongst the literally thousands of priorities that have to  
6 happen. It was avoidable but not necessarily predictable.

7 Q. So is it -- is it fair to say there was an MRI here  
8 that was working on island?

9 A. Uh-huh.

10 Q. Yes?

11 A. There was an MRI. There still is an MRI, but it is no  
12 longer working.

13 Q. And it's no longer working because there was no  
14 maintenance support or chain put in place? Is that accurate?

15 A. Well, I think it was a string of unforeseen errors  
16 regarding it. I think it was originally in place here for  
17 what was intended to be a single study. And so the  
18 maintenance tail that should have accompanied it was not  
19 written as part of the contract.

20 It was a little bit out of sight, out of mind, in that  
21 it was not something that the naval hospital was taking care  
22 of, but it was actually on the JMG side and, therefore, was  
23 not being -- you know, receiving the same amount of daily

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 inspection stuff in terms of attention of when the joint  
2 commission would come through. When the joint commission  
3 would come through, it would not have been surveyed because  
4 it's not part of the naval hospital.

5           So essentially you ended up with, you know, out of  
6 sight, out of mind, not with the proper logistics support  
7 behind it, not with the proper tech support, both in terms of  
8 the radiology tech who is able to run that device, as well as  
9 the service technician that would come down from time to time.  
10 And that was -- a good portion of that was limitations of  
11 COVID travel.

12           DDC [CPT CASCIOLA]: May I have a moment, Your Honor?

13           MJ [Lt Col ROSENOW]: That's fine.

14 **[Counsel conferred.]**

15           Q. You said that you suspected the MRI was nonfunctional  
16 as of November of 2021, or that's when you became aware of it,  
17 sir. Prior to November of 2021, do you know how long prior to  
18 that it was perhaps nonfunctional?

19           A. There were -- I don't have exact dates regarding it;  
20 but it was, you know, well known. Is it up? Is it down?  
21 Okay, we need to do this study. Okay, yeah, we can probably  
22 get it done in terms of, okay, let's fly down the right tech,  
23 let's fly down the right service tech. When is the helium

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 coming? These were, I would say, topics of constant  
2 discussion in those periods, both verbally and a couple  
3 e-mails.

4 Q. Okay. So even when it was not completely  
5 demagnetized, there was still effort that had to be put into  
6 getting the supporting pieces?

7 A. Yes. It is definitely a very complicated piece of  
8 gear that requires both the skill set and the materiel to keep  
9 it functioning.

10 Q. Is there more information that you could give us about  
11 the MRI and what occurred in a closed session?

12 A. I mean, I think the major portions of it we've  
13 covered. I don't think there's anything regarding it that is  
14 of classified nature. It's simply -- you know, it was simply  
15 not as high a priority -- there was a difference in the  
16 priority that, you know, differing opinions had ----

17 Q. Understood, sir.

18 A. ---- different leadership had amongst JMG and myself.

19 Q. I'd like to move away a little bit from the MRI --  
20 that first MRI for a minute, sir, and talk about  
21 Mr. Al-Tamir's medical issue. You're familiar with  
22 Mr. Al-Tamir?

23 A. I am.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 Q. And do you know his diagnosis, sir?

2 A. Yes, I've been following him closely. We've not  
3 spoken, but I read pretty much everything that goes on  
4 regarding his care.

5 Q. And what is his diagnosis as you understand it?

6 A. Well, he has treated latent TB. He has lumbar  
7 spondylosis. He's got some issues with previous cauda equina  
8 syndrome and he's got some neurologic damage from that. He's  
9 got dysphagia, difficulty in swallowing. He's got some  
10 hearing loss, some osteoarthritis in both knees, Achilles  
11 tendinosis. Let's see. Hyperlipidemia. He's had some anemia  
12 before. We are, of course, worried about osteopenia, bone  
13 mass. He's got some GERD, some H. Pylori, plantar fasciitis,  
14 as I recall. And I think that's about all I remember right  
15 now.

16 Q. Would you categorize him as an above-healthy  
17 60-some-year-old?

18 A. No, I would not. I would say between his limitations  
19 in ambulation, his ability to get around, his ability to  
20 weight bear, he's got -- he is of concern. And, you know, we  
21 speak -- I and the senior medical officer speak on him quite a  
22 lot.

23 MJ [Lt Col ROSENOW]: Let me jump in for clarification.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 The question was posed to you as above healthy. Did you  
2 answer that as average, meaning he is less than average in  
3 terms of his age?

4 WIT: I would say, yes. I would say he's less than  
5 average. He's more concerning to me than would be a, you  
6 know, perfectly ambulatory, well-controlled 61-year-old with  
7 the access to the studies and the, you know, potential  
8 neurosurgical follow-on interventions that he might be  
9 needing.

10 MJ [Lt Col ROSENOW]: Thank you for that.

11 Go ahead, please.

12 DDC [CPT CASCIOLA]: Thank you, Your Honor.

13 Q. You are aware of prior surgeries he's had?

14 A. I am.

15 Q. And how many prior surgeries were there?

16 A. Specific to his back?

17 Q. Yes.

18 A. Five over the span of about eight months.

19 Q. Were you able to review operating notes or  
20 documentation regarding those five surgeries?

21 A. Some. A lot of it is repetitive, as in, you know,  
22 more recent, but, you know, this was noted, this was noted.

23 And then some of the more recent neurosurgical notes, as far

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 as getting back to every aspect of, you know, his  
2 perioperative care, his postoperative care, that was not  
3 easily available. But from what I understood, you know,  
4 talking to some visiting specialists, talking to SMO, you  
5 know, we -- I would say I know well what his issues are.

6 Q. Is it your understanding that at least some of his  
7 surgeries had to occur because of errors made -- and you can  
8 correct me if I'm wrong, sir, of course -- errors made in  
9 prior surgeries?

10 A. Well, I think he certainly had complications, so he  
11 had to go back to the operating room for a hematoma in his  
12 neck that had to be, you know, taken out, evacuated and then  
13 stitched back up and, you know, made sure that he didn't have  
14 ongoing blood -- bleeding into that space.

15 Now, there is a -- you know, an expectation or an  
16 accepted amount of complication that one must assume with such  
17 surgeries. It seems like he's been a little bit more likely  
18 to get complications on some things. Part of that is -- you  
19 know, as to whether or not that is a factor of technique or a  
20 factor of the system in which it was performed is kind of up  
21 for debate there.

22 Q. Are you familiar -- being an anesthesiologist, I  
23 assume you're in surgeries?

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 A. Yeah, quite a few.

2 Q. Are you familiar with laminectomies, sir?

3 A. I am.

4 Q. Have you seen laminectomies?

5 A. Yes.

6 Q. Can you estimate how many?

7 A. Oh, a couple hundred. Not many lately, obviously.  
8 It's not a surgery that is done here routinely, so I would say  
9 I've not seen any in more than two years. But in centers I've  
10 worked in before that do them often, probably somewhere in the  
11 250, 300 range with which I've been involved either as the  
12 anesthesiologist or going into the room to assist because it's  
13 a complicated manner of putting the patient to sleep on the  
14 gurney, making sure you've got all the right monitoring  
15 equipment in place, arterial line, et cetera, flipping the  
16 patient over, and that takes, you know, a team of several  
17 people to do in a coordinated fashion properly.

18 Q. You just said, sir, that that's a procedure that's not  
19 done routinely here on island. Have you ever seen it done on  
20 island?

21 A. No.

22 Q. Is this hospital equipped to do it?

23 A. I would say no.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT



UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 DDC [CPT CASCIOLA]: Your Honor, I would like to  
2 publish -- this is AE 214I, I believe.

3 MJ [Lt Col ROSENOW]: Is this a new exhibit that's not  
4 been previously provided to the commission?

5 DDC [CPT CASCIOLA]: It was provided this morning, Your  
6 Honor.

7 MJ [Lt Col ROSENOW]: 214I?

8 DDC [CPT CASCIOLA]: Yes. India, I'm sorry.

9 MJ [Lt Col ROSENOW]: That's fine. How long is this  
10 exhibit?

11 DDC [CPT CASCIOLA]: It's only one page. It's just a  
12 picture.

13 MJ [Lt Col ROSENOW]: Thank you.

14 Trial Counsel, just because this is the first time I'm  
15 seeing it, you may have seen it before, there could have been  
16 things happening with staff that didn't get back to me. Just  
17 any concern or objection to raise with respect to her  
18 utilizing 214I with the witness?

19 TC [MR. SHORT]: No, Your Honor. I just would -- to the  
20 extent that they are going into kind of a discovery mode here,  
21 I would kind of levy that objection. But the exhibit itself,  
22 no, Your Honor.

23 MJ [Lt Col ROSENOW]: Understood. To the extent that is

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 an objection that's been levied, it's overruled at this time.

2 Defense Counsel, you can go ahead and utilize the  
3 exhibit. Do you mean to provide it to the witness or are you  
4 going to put it on the screen?

5 DDC [CPT CASCIOLA]: I would -- either, Your Honor, just  
6 as long as the witness can see it.

7 MJ [Lt Col ROSENOW]: If you end up having an exhibit like  
8 this that you intend him to point at, just make sure it's in a  
9 form that we can document for the record what he's pointing  
10 at. And if you're going to approach him, I need you to wear  
11 your mask as you're approaching him. Otherwise, you can  
12 proceed in your examination.

13 DDC [CPT CASCIOLA]: Yes, sir. Thank you.

14 Q. Sir, are you able to see the picture?

15 A. Nope. Okay. Yes.

16 Q. You can see it now, sir?

17 A. Yes, I can see it.

18 Q. So this is -- is this -- tell me, sir -- an accurate  
19 diagram of what would occur in a laminectomy with fusion? Of  
20 course, it's simplified.

21 A. It is. And, again, to quote the -- to state the  
22 obvious, I'm an anesthesiologist. I do work in this sector  
23 some, but I don't actually go and cut. I know the anatomy

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 well because of putting in epidurals, things like that.

2           As far as my knowledge of the anatomy and the  
3 procedural steps in this, once I've got the patient to sleep,  
4 once I've got sufficient safety margins in place in terms of  
5 monitoring, once we've safely put the patient into the prone  
6 position and I've assured, you know, that all the monitors are  
7 working, IVs are running, I've got access to blood if we need  
8 to, then the surgeon would proceed with, you know, the initial  
9 incision, depending on, you know, we obviously make sure we  
10 are over the right vertebra involved, and that would be done  
11 radiographically with fluoroscopy. So basically, just, you  
12 know, laying of an instrument over the one you think you're  
13 going to and making sure by shooting a film. Yep, that's the  
14 right one. Everybody agrees.

15           Dissecting down, getting some of the these -- some of  
16 the musculature out of the way, and then putting in whatever  
17 hardware has to be there, putting in the screws by which to  
18 ensure that these -- the hardware stays in place, and that is  
19 both a dance between do you have sufficient bone density as  
20 well as do you have good monitoring of neurofunction as you  
21 proceed, and that's usually done by devices called --  
22 monitoring modalities called somatosensory-evoked potentials  
23 or motor-evoked potentials, that means putting small

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 electrodes into the patient at known spots so that they -- the  
2 technician monitoring will see, okay, the sensory system's  
3 working, the motor system's working. Oh, we just got a little  
4 blip there. It looks like you might have put your screw a  
5 little too deep, and then we back up and make sure that ----

6           So it's a dance between the surgeon, the neuromonitor,  
7 and then the anesthesia. We're at this point, basically,  
8 trying to, you know, watch the -- watch for any perturbations  
9 of blood pressure and heart rate, oxygenation, keeping these  
10 sorts of things all as normal as possible while this work is  
11 going on.

12           So basically, this looks, you know, like what I've  
13 seen before, but, again, I've never -- I've never been  
14 responsible for putting the devices in or the hardware in.

15           Q. Understood, sir. I'm not going to ask you what size  
16 screw you'd use, but I am going to ask you a couple questions  
17 based on what you just said, sir.

18           Is this the sort of procedure, the laminectomy with  
19 fusion is, to your understanding, the sixth surgery that  
20 Mr. Al-Tamir would have to undergo?

21           A. That's my understanding of what -- of what the most  
22 recent visiting neurosurgeon has gone into. Mr. Al-Tamir's  
23 symptoms are now very large -- largely lower extremity. It

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 matches up with this anatomy and the nerves that come out of  
2 this area. And is it likely he -- it's a decision he and his  
3 surgeon will have to make, but there is a good possibility he  
4 will need another surgery. That is my understanding from  
5 reading the visiting neurosurgeon's notes.

6 Q. Understood. And you also mentioned as part of the  
7 surgery the need for fluoroscopy.

8 A. Uh-huh.

9 Q. Is that something that -- I'm sorry. That's a yes,  
10 sir?

11 A. Yes, that's correct. I'm sorry.

12 Q. Is that -- that's okay. Is that something that -- is  
13 that equipment that the Naval Station Guantanamo Bay hospital  
14 has available to use?

15 A. My understanding is they have one. It is -- my  
16 understanding is it needs some repair currently.

17 Q. Do they have the personnel that's trained to use it  
18 during a laminectomy with fusion?

19 A. I do not know. At this point, with the amount of  
20 turnover that's happened at the hospital, the availability of  
21 radiology techs, the, you know, honest assessment of their  
22 skill set right now, what certificates they've maintained or  
23 not is a -- that would take -- again, that would be part of

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 the preoperative assessment that would need to go into this  
2 very complex soup-to-nuts approach to doing this correctly.

3 Q. And so ----

4 DDC [CPT CASCIOLA]: Can I have a moment, Your Honor?

5 MJ [Lt Col ROSENOW]: That's fine.

6 [Counsel conferred.]

7 Q. And are you aware that the availability of experienced  
8 radiology technicians was an issue with Mr. Al-Tamir's prior  
9 surgeries?

10 A. I don't know whether it was with his prior surgeries.  
11 I don't -- I do know that, you know, needing to bring an MRI  
12 tech to the island previously during my tour here has been an  
13 issue.

14 Q. Are you aware if the hospital has the correct -- or  
15 not correct, but any fusion hardware?

16 A. I am not aware if they do. They may have it somewhere  
17 in the hospital. I'm not privy to all their different  
18 surgical instrument sets. I would be surprised if they did.  
19 Those are expensive; and if they're not in use here, and they  
20 shouldn't be in use here, there's no orthopedic surgeon,  
21 there's no spine surgeon, then they would probably have been  
22 repurposed.

23 Q. You had mentioned, sir, evaluating the bone density of

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 the patient prior to a laminectomy with fusion.

2 A. Yes.

3 Q. Number one, how is that done?

4 A. Typically it's done by a DEXA scan. It's what's  
5 called a dual-energy x-ray absorptiometry is what that stands  
6 for. And basically looking at two different levels of x-ray  
7 power, you know, the same portion is scanned and on the basis  
8 of the difference in uptake of those two types of energy, a  
9 T-score can be computed, which is a normalized score that WHO  
10 came up with as to what bone density should look like.

11 MJ [Lt Col ROSENOW]: Defense Counsel -- excuse me. Did  
12 you finish your response, sir?

13 WIT: Yes.

14 MJ [Lt Col ROSENOW]: All right, thank you.

15 Defense Counsel, are we near a natural breaking point  
16 in your examination?

17 DDC [CPT CASCIOLA]: Your Honor, we certainly -- I did  
18 want to ask him a little bit more about this picture, but then  
19 we certainly can be at a breaking point.

20 MJ [Lt Col ROSENOW]: Since I broke it up by asking the  
21 question, Doctor, you may know or not, we have a lot of  
22 support staff who are helping this function. And sometimes  
23 they need breaks along the way so they can turn over in their

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 function. And I've been signaled that we should take a break  
2 at this point.

3 So would 15 minutes work for the defense counsel?

4 DDC [CPT CASCIOLA]: Yes, Your Honor.

5 MJ [Lt Col ROSENOW]: For the government?

6 TC [MR. SHORT]: Yes, Your Honor.

7 MJ [Lt Col ROSENOW]: Sir, I have an instruction for you  
8 while we're on this break. Because you are in the middle of  
9 your testimony, you will not discuss your testimony or your  
10 knowledge of this case with anyone. You should not consult  
11 any materials either to refresh your memory or organize your  
12 thoughts during this break either. It's as if you are  
13 preserved in amber and we have you back here in 15 minutes.

14 Does that work for you?

15 WIT: Yes, Your Honor.

16 MJ [Lt Col ROSENOW]: Any objection to that instruction,  
17 Defense Counsel?

18 DDC [CPT CASCIOLA]: No, Your Honor.

19 MJ [Lt Col ROSENOW]: Government?

20 TC [MR. SHORT]: No, Your Honor.

21 MJ [Lt Col ROSENOW]: The commission will be in recess for  
22 15 minutes.

23 [The R.M.C. 803 session recessed at 0942, 7 June 2022.]

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT



UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 [The R.M.C. 803 session was called to order at 0959,  
2 7 June 2022.]

3 MJ [Lt Col ROSENOW]: The commission is called to order.  
4 Same parties as before both here in the courtroom, in the RHR,  
5 remain present. The witness remains on the stand under oath.

6 Defense Counsel, you may proceed.

7 DDC [CPT CASCIOLA]: Yes, Your Honor. Thank you.

8 DIRECT EXAMINATION CONTINUED

9 Questions by the Detailed Defense Counsel [CPT CASCIOLA]:

10 Q. Sir, I think when we left off, we were speaking about  
11 bone density and a DEXA scan.

12 A. Yes, that's correct.

13 Q. Why is it important during a laminectomy with fusion  
14 to evaluate the bone density preoperative?

15 A. Well, as you can see from your schematic from 214I,  
16 that where those screws go, L-4 and L-5, you've got to have  
17 sufficient density there for those to take hold and safely  
18 maintain the fusion hardware in place. If it's not there and  
19 you have a breakout of that, it's similar to any other  
20 architectural failure. You end up with instability and  
21 possibly further injury beneath that site to the spinal cord.

22 Q. Is a DEXA scan or a DEXA machine the standard of care  
23 in evaluating the extent of osteoporosis?

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 A. Yes, that's the most typically used thing, normalized  
2 to, you know, a specific population. And on the basis of  
3 that, you compare other populations as to, you know, how  
4 Mr. Al-Tamir's bone density might look.

5 Q. And you may not be able to answer this, sir, but going  
6 into a spinal surgery without a DEXA scan, does that influence  
7 in any way what instrumentation you would bring in and what  
8 personnel you would need to support?

9 A. Not being a neurosurgeon, I would have difficulty  
10 speaking to the particulars of that. But, yeah, in general if  
11 you don't have sufficient bone to work with or not of  
12 high-enough quality bone, bone that hasn't been weightbearing  
13 for some amount of time, bone that has been demineralized, any  
14 number of factors there that would go into the surgical  
15 planning, it would be ill advised to do -- to assume that the  
16 bone density is sufficient here, especially as it has been  
17 instrumented before.

18 Q. So the fact that Mr. Al-Tamir has prior  
19 instrumentation or, I guess, fixation, I'm not sure what the  
20 correct term is, that influences what happens, then, in the  
21 future surgeries?

22 A. Certainly, yeah, absolutely.

23 Q. Okay. When you went through the different supporting

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 personnel in a laminectomy with fusion, you mentioned -- and I  
2 don't think I quite caught the term, the name of this  
3 individual, but the person that would be monitoring ----

4 A. Uh-huh.

5 Q. ---- neurological capabilities?

6 A. Sure.

7 Q. Do we have -- and what's the title of that person?

8 A. It's the neuromonitoring specialist or tech.

9 Typically it's a contracted individual who would come into --  
10 you know, in my experience in a military hospital, those folks  
11 will come in for the special case when they're -- when they're  
12 scheduled. They show up. They are on time. I don't know who  
13 they are necessarily, but they -- I know what they're there to  
14 do.

15 And once the patient is under anesthesia, they go  
16 about going ahead and starting to put in all their little  
17 monitors, which are, you know, very tiny needles, essentially,  
18 that are connected to an electrode, you know, into a machine.  
19 And then they can stimulate certain ones and then sense the  
20 stimulation at a different one to make sure that that neural  
21 pathway is intact.

22 Q. Do we have one of those individuals on island?

23 A. No, not to my knowledge.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 Q. Do we have that machine on island?

2 A. Not to my knowledge.

3 Q. What's the name of the machine?

4 A. Neuromodulation.

5 Q. Okay.

6 A. So you would -- it would be the -- I don't know so  
7 much by the name of the machine, but by the name of the -- the  
8 test it puts out, the somatosensory-evoked potential or the  
9 motor-evoked potential. So, you know, you would sitting and  
10 seeing, oh, yes, I can see the patient -- the hand  
11 rhythmically twitching, therefore, I know, okay, they're  
12 running the test right now.

13 Q. Is that test the standard of care during a  
14 neurosurgery?

15 A. In my experience it has been. I'm not a neurosurgeon,  
16 but, again, I think that I don't know that I've ever been in a  
17 multilevel laminectomy, particularly a redo, where that has  
18 not been employed.

19 Q. Okay. There are obviously U.S. servicemembers onboard  
20 Naval Station Guantanamo Bay.

21 A. Quite a few.

22 Q. If any of those individuals needed this surgery, would  
23 it occur at this hospital?

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 A. No.

2 Q. Where would it occur?

3 A. They would be medevac'd to most likely Naval Medical  
4 Center Portsmouth; or depending on their service preference,  
5 they might go to San Antonio; or depending on their access to  
6 other centers, they might go to a civilian center.

7 Q. And that is because the complication of this surgery  
8 in addition to the resources required for the surgery that are  
9 not available on island?

10 A. Yes. Yeah, you go where the resident knowledge, the  
11 expertise is.

12 Q. Having reviewed Mr. Al-Tamir's medical records and  
13 being a quite experienced anesthesiologist, in your opinion  
14 would it be difficult to get a neurosurgeon to do the sixth  
15 surgery of Mr. Al-Tamir on island?

16 TC [MR. SHORT]: Your Honor, I'm going to object to this  
17 question. This is now getting into, you know, not only the  
18 discovery and a fishing expedition, but I think it's going  
19 into other expertise, a neurosurgeon. I think to some extent  
20 that Dr. Kucik can answer that, but to the extent that it's a  
21 neurosurgeon's expertise, I would object, Your Honor.

22 MJ [Lt Col ROSENOW]: I understand the objection as being  
23 foundation for the opinion that's being called upon from this

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 witness about the difficulty involving the procedure being  
2 accomplished on island. Is that an accurate recitation of the  
3 objection from the government?

4 TC [MR. SHORT]: Yes, Your Honor.

5 MJ [Lt Col ROSENOW]: Defense Counsel, why don't you  
6 withdraw that question and ask first questions laying the  
7 foundation as to his ability to answer it. I would highlight  
8 that perhaps this is a difference of opinion about an  
9 ambiguity in the call of the question. He might not be in a  
10 position -- I'm not saying he is or isn't -- to answer about  
11 the difficulty of actually accomplishing on the bed the  
12 procedure as against the potential challenges to getting all  
13 of the infrastructure and individuals required on island as a  
14 condition precedent to allowing someone who is qualified to  
15 accomplish the procedure to accomplish it.

16 I see you nodding along with me. So I'll sustain the  
17 objection in the sense that the question could be more clearly  
18 posed and thereby help me in understanding the evidence given.  
19 Please.

20 DDC [CPT CASCIOLA]: Certainly, Your Honor. Thank you.

21 Q. As the chief medical officer, one of your roles is  
22 coordinating medical care; is that accurate?

23 A. It is -- I don't necessarily have a coordinating

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 mechanism so much as I have an oversight mechanism. I tend to  
2 try to let the JMG arrange things to the best of their  
3 abilities. I have offered multiple times to be an outlet, a  
4 sounding board. If someone asks my opinion or if you need  
5 help from my boss, I can go directly to and probably find a  
6 few extra things in my side job as the anesthesia specialty  
7 leader. I have access to all the other specialty leaders in  
8 the Navy, at least -- and essentially to all of them in the  
9 services. So if they need a niche requirement, I can help in  
10 finding that person.

11 But for the most part, I try to leave the operational  
12 aspects and execution of the planning to the JMG and help  
13 as -- again, as I've stated before, I'd much rather be the PI  
14 guy than the inspector.

15 Q. And so part of that, that means that you are -- I'm  
16 not going to use the word coordination, because, obviously,  
17 that's not something you prefer to do, but oversee the fact  
18 that all of these different pieces are coming together to  
19 enable a successful surgery?

20 A. Yes. Yes, I would say yes, that's within my purview.

21 Q. And is part of overseeing that making sure that there  
22 is a neurosurgeon with the proper training and expertise that  
23 would be able to come on board?

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1           A. To the extent that I'm able to assess the competence  
2 of who comes in, that is done through the credentialing  
3 process. It's done through the services. It is also done  
4 through the JMG, slash, naval hospital's ability to assess  
5 that individual's credentials, make sure they're a quality  
6 person. By and large that's on autopilot.

7           Now, and then add to that the proscription against  
8 knowing identities, I don't really get deeply into that. Now,  
9 I do from time to time -- well, actually, everyone that's  
10 within the JMG that's credentialed, I do a little bit of a  
11 quality check on my own, but by and large the visiting folks,  
12 I will probably call the specialty leader and say: Is the  
13 person you're sending quality? I don't need to know who it  
14 is. Essentially, that tends to be the extent of what I do.

15           DDC [CPT CASCIOLA]: There -- can I have a moment, Your  
16 Honor?

17           MJ [Lt Col ROSENOW]: Take your time.

18           [Counsel conferred.]

19           Q. So you are not aware of the identities of the medical  
20 specialists who examine the detainees until they come on  
21 island?

22           A. And even then, I'm not oftentimes aware of their  
23 names.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT



UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 Q. You have previously said to me that you thought it  
2 would be difficult to get a surgeon to agree to do a sixth  
3 surgery on Mr. Al-Tamir on Naval Station Guantanamo Bay. Why  
4 is that?

5 A. Well, again, not being a neurosurgeon, I -- and I  
6 don't know the practice patterns of the particular folks that  
7 are -- have been involved in his cases before, but as you get  
8 more complicated cases like his, the appetite for being  
9 involved in some of these cases goes down. And that's just,  
10 you know, a fact of medical practice these days.

11 Add to that the particulars of who Mr. Al-Tamir is,  
12 the environment in which someone would be asked to practice,  
13 it -- it is my observation that people are very reluctant to  
14 get involved. And so it won't be a matter of -- at some point  
15 it will be a matter of you will run out of people willing to  
16 do a case that complicated, not only anatomically and from  
17 past surgeries, but in terms of medicolegal and perceived  
18 personal involvement risk.

19 Q. Is it fair to say that there is a very small pool of  
20 individuals that could be drawn from?

21 A. Military neurosurgery is one of the smallest  
22 specialties.

23 Q. There's been some previous discussion regarding a CT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 being sufficient as prediagnostic or preoperative -- for  
2 preoperative planning purposes for a laminectomy with fusion.

3 A. Yes.

4 Q. Do you agree that the standard of care is an MRI?

5 A. The standard of care from my understanding, talking to  
6 neurosurgeons, that is the preferred method. Not only because  
7 it's the one they know the most -- the best and will need  
8 intraoperatively for, you know, ensuring they understand every  
9 aspect of the anatomy, but also -- although you can get -- you  
10 know, there's many ways to skin a cat, but all the other --  
11 the other possibility is not as well known. I don't know if  
12 it's superior, but it is, again, not as accepted.

13 And once -- you know, once you're -- once you've asked  
14 a surgeon, any professional, to change however many things in  
15 the way they manage their normal procedure, you end up  
16 introducing a lot of variation and a lot of uncertainty. So  
17 it would be akin to, you know, Hey, Dr. Kucik, intubate this  
18 person, you know, the other way, stand facing them instead.  
19 Do something completely against what your normal practice is,  
20 in a new environment, with new staff, with equipment that you  
21 may not have worked on before, in an environment that has  
22 other security concerns, and, oh, by the way, we just flew you  
23 here emergently and you're sleep deprived. Well, that -- in

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 safety science and improvement science, that is a setup for  
2 failure.

3 Q. And it is true that there is a difference in the  
4 amount of detail you can obtain in an image between an MRI and  
5 a CT scan?

6 A. Yes.

7 Q. An MRI is more detailed?

8 A. Yes. For the structures that need to be looked at for  
9 a case such as this, yes, it would be preferred.

10 Q. In terms of the actions taken to acquire an MRI, are  
11 you familiar with that?

12 A. In large -- in broad strokes, yes. I have read and  
13 opined previously on the contract for the last one and the  
14 sustainment plan for the last one. After its catastrophic  
15 failure, I have only been tangentially involved in the  
16 decisions of -- you know, basically, I have agreed with the  
17 senior medical officer that an MRI needs to be done in this  
18 case.

19 By what method the JTF, JMG, and SOUTHCOM choose to  
20 procure it is their lane. But I have made suggestions that,  
21 if you do it again, make sure you have all the tail that goes  
22 with it. Make sure there's a tech. Make sure there's a  
23 service tech. Make sure there's a quality-management person

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 who is tied to the hospital who is there to ensure it meets  
2 all the right specifications under joint commission; and,  
3 therefore, it becomes, you know, an inspectable item that is  
4 going to be maintained properly.

5 Q. Now, there seems to be a little bit of -- there seems  
6 to be a little bit of tension, and maybe I'm not understanding  
7 really the different command structures, but a tension between  
8 what JMG is doing and acquiring and what the Naval Station  
9 Guantanamo Bay hospital is doing and acquiring. Are those  
10 separate?

11 A. They are separate entities insofar as the naval  
12 hospital is a different reporting chain. That goes up to  
13 Naval Medical Forces Atlantic in Portsmouth. And then the JMG  
14 reports to the JTF commander here on island, who reports to  
15 SOUTHCOM. So you're -- but the commanders are one and the  
16 same.

17 So you've got the same Navy captain in charge of the  
18 hospital, selected to be the hospital commander by a Navy  
19 board, who also has the additional duty of being the JMG  
20 commander. So there is a dual reporting. I don't know what  
21 the specific, you know, thou shalt do .6 FTE for this one and  
22 .4 for that one. I don't know the specific breakdown there.

23 I have official oversight of the latter, and insofar

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 as they affect the detainee care and the quality of the staff  
2 that might be called in to affect some detainee care are  
3 concerned, you know, I do have, I would say, minuscule or some  
4 aspect of oversight of what happens in the naval hospital as  
5 well.

6 Q. So you have oversight over these, I'm going to call  
7 them, two ladders, two chains ----

8 A. Uh-huh.

9 Q. ---- but in terms of what equipment should be  
10 acquired, medical equipment, you mentioned that that's not --  
11 that's not within your purview.

12 A. I would say, is it something that I could get involved  
13 in if I wanted to? Yeah. But there are so many other things  
14 that are of higher priority that I think it is better off for  
15 me to focus on the medical aspects and to try to just  
16 encourage the best practices possible amongst those going out  
17 to procure these items. You know, maybe you try this route;  
18 maybe we lease it initially; maybe you make sure if -- you  
19 know, if someone -- if OMC is willing to fund this, then you  
20 make sure that this is written into the contract.

21 Q. Who is the entity in charge of procurement of an MRI?

22 A. Increasingly it's going to be the Defense Health  
23 Agency, so that's another layer of influence and involvement.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 As Navy medicine becomes more of a focus on operational  
2 medicine and the Defense Health Agency tries to conglomerate  
3 all of the military -- brick-and-mortar military treatment  
4 facilities, the DHA is going to be increasingly that source.

5           Until that point, I think locally it would probably  
6 have been NAVMEDLOGCOM, Navy Medicine Logistics Command.  
7 There are various entities that can be involved in the  
8 contracting and procurement of whatever -- by whatever  
9 contract vehicle you want to use to get that device down here.

10           But by and large, you know, that is going to be either  
11 the Navy hospital commander asking wearing his Navy medicine  
12 hat from Portsmouth or wearing his Defense Health Agency  
13 director hat asking the DHA for it.

14           Q. So those are the -- that's the procurement agency or  
15 entity?

16           A. Yeah, yeah.

17           Q. Who is the person -- and I'm just going to simplify  
18 this for myself, but who clicks "add to cart"?

19           A. Well, and let me give you one more layer of  
20 complication, because, you know, when you -- when you get down  
21 to what's being bought for JMG, that's going to be dealt with  
22 through SOUTHCOM, so lots of cooks in the kitchen here, so to  
23 speak.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1           But who clicks -- who clicks "add to cart" at this  
2 point is going to be -- I think the most likely group on the  
3 hook, and I think the latest I've heard is that SOUTHCOM is  
4 going to pony up for at least a, you know, a lease portion.  
5 But, again, I've not seen the paperwork on this.

6           Q. Understood. Do you have knowledge of a timeline  
7 associated with that?

8           A. I do not. I've not heard anything definitive  
9 regarding the arrival of a new MRI. I just know that, based  
10 on the amount of time it takes my household goods to get here,  
11 it could be a while.

12          Q. It could be several months?

13          A. Uh-huh.

14          Q. Yes, sir?

15          A. Yes, it could.

16          Q. When you say you have not seen the paperwork, it's  
17 clear -- it seems clear you have not seen an actual lease for  
18 an MRI?

19          A. No.

20          Q. And you have not seen what I imagine, being in the  
21 military, is the tons of paperwork that precedes getting a  
22 lease?

23          A. Not in the current setting, no. I had seen -- as I

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 mentioned this before, I'd seen the contract and paperwork for  
2 the previous one, but I have not seen anything approximating  
3 that for a new buy or a new lease.

4 Q. JMG, to the best of your knowledge, has been aware  
5 that the MRI has been broken since November of 2021?

6 A. To the best of my knowledge, yes. That's when it came  
7 to my attention. I don't know how -- how far back that  
8 problem goes prior to my finding it out.

9 Q. Similar questions regarding the DEXA scan. Is it the  
10 same procurement entity, paperwork, et cetera?

11 A. It would be approximately the same, and fill in the  
12 blank for whatever other type of specialty big -- you know,  
13 big, fangled device you might have.

14 Q. Has there been any movement -- even the little  
15 movement that we have seen with acquiring an MRI, so  
16 discussions about acquiring an MRI, has there been any  
17 movement in regards to acquiring a DEXA scan?

18 A. Not that I have heard. There are ways to approximate,  
19 you know, just like the MRI, doing a CT myelogram instead.  
20 There are ways to get the right -- the right software as well  
21 as the correct ability to read -- someone who is facile with  
22 it to do something similar, but, again, still not the -- not  
23 the normally accepted and most widely used method to do that

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT



UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 through CT.

2 Q. And not the way they would do it at Portsmouth?

3 A. No.

4 Q. When we talked about the MRI actually coming on  
5 island, you said it could take -- you agreed with me when I  
6 said it could take several months. Could it also take years?

7 A. Yes, it could. I think the one that was procured for  
8 a different patient, my understanding is it took over two  
9 years.

10 DDC [CPT CASCIOLA]: Your Honor, can I have a moment?

11 MJ [Lt Col ROSENOW]: That's fine.

12 DDC [CPT CASCIOLA]: Thank you.

13 **[Counsel conferred.]**

14 Q. We were just talking about how, basically, there's  
15 many ways to skin a cat, right? You can do an MRI. You can  
16 do a CT. It's not what's accepted or the standard of care,  
17 but you can do them?

18 A. I wouldn't say there are many, but there are -- there  
19 are two. You know, everything has one backup of some sort.

20 Q. Are there health risks -- are there medical risks  
21 associated with repeated CT scans of an individual?

22 A. Absolutely.

23 Q. And what are those?

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 A. It's radiation. So when you were talking about  
2 getting a lifetime increased radiation dose and then  
3 specifically exposing someone to the increased risk of cancer  
4 over the lifetime, that is the first one that comes to mind.

5 Additionally, a lot of times the vasculature needs to  
6 be delineated during these studies, and that means putting in  
7 a form of contrast dye. And if timed properly, then you can  
8 see this is what the vascular tree of such and such organ  
9 looks like. And if that -- of course, that dye has to go  
10 somewhere. And that typically means it goes through the  
11 kidneys and the kidneys then have to suffer -- as the filter  
12 of the body, have to suffer another exposure to contrast  
13 medium, and that could lead to acute or chronic kidney failure  
14 eventually and the need for hemodialysis.

15 Q. There's no -- there's no risk of radiation with an  
16 MRI?

17 A. There's no -- no, there's no risk of radiation.  
18 There's no radiation emitted.

19 Q. You are aware that over the 16 years that  
20 Mr. Al-Tamir's been on island, that he has had repeated CT  
21 scans?

22 A. I'm aware of that.

23 Q. Do you know approximately how many?

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1           A. I do not. I have made the recommendation to the JMG  
2 that all the detainees have lifetime radiation exposure  
3 computed to the best of our knowledge, to the best of -- to  
4 the degree that it can be computed and then tracked and then  
5 carefully shepherded into the future because this will become  
6 a -- because CT is on island, because it is the imaging  
7 modality that is kind of the default, there is a risk that,  
8 you know, you could see cancers developing because of overuse  
9 or, you know, use in lieu of some other modality that would be  
10 equally effective, possibly superior, and less risky to the  
11 patient.

12           Q. And not only CTs, but X-rays have that risk as well?

13           A. X-rays do. X-rays are nowhere near as burdensome in  
14 terms of the impact or the exposure that you receive, as you  
15 would a, you know, typical chest/abdomen/pelvis CT.

16           DDC [CPT CASCIOLA]: Can I have a moment, Your Honor?

17           MJ [Lt Col ROSENOW]: That's fine.

18 [Counsel conferred.]

19           Q. Just a couple more questions. I appreciate you  
20 answering all of our questions.

21           You mentioned earlier an acronym, SMACD?

22           A. Yeah, the Senior Medical Advisory Committee for  
23 Detainee Programs. SMACDP is the full acronym.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 Q. And you have given us some information that's relevant  
2 to our conversation here about Mr. Al-Tamir about ----

3 A. About ----

4 Q. ---- I guess, SMACD.

5 A. Well, I think what I recall was the -- was the -- the  
6 MRI issue coming up in conversation there during a periodic  
7 meeting of that body, and that meets about every two months.

8 Q. Could you give us further information about that  
9 conversation in a closed session?

10 A. I could give you further in a closed session. I don't  
11 know that there's a whole lot more to give other than it was  
12 simply mentioned in it and brought to the attention of higher  
13 authorities. The SMACDP has voting members from the three  
14 services' surgeons general, their representatives, as well as  
15 a DHA and then some other joint staff, a few other cats and  
16 dogs.

17 Q. And maybe I'm missing this and you are saying it, but  
18 Mr. Al-Tamir's health problems specifically were mentioned in  
19 that meeting?

20 A. I don't specifically recall.

21 Q. Okay.

22 A. Oftentimes, again, those meetings we try to keep  
23 overarching to the degree of, this is the man training equip

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 aspect of what is required down here. The individual case  
2 discussions sometimes come up, but it is -- it is not really  
3 what the forum is for.

4 Q. Okay.

5 A. To the degree possible, those decisions rightly -- I  
6 try to keep those here, try to influence those to be the  
7 purview, remain the purview of the SMO.

8 Q. Are there reports taken at these meetings? Just yes  
9 or no.

10 A. Yes.

11 Q. Are those reports classified?

12 A. They are.

13 Q. Are there minutes taken at those meetings?

14 A. Yes.

15 Q. Are those classified?

16 A. Yes.

17 Q. Are the identities of the individuals at that meeting  
18 classified?

19 A. To some degree. The SMOs -- those resident on island  
20 except for me, they are deidentified.

21 Q. Does -- does the use of -- I'm going to butcher this  
22 word, but the neuromonitoring, does that influence the  
23 techniques used by the anesthesiologist during surgery?

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 A. Yes.

2 Q. How so?

3 A. Well, if you -- the standard approach to general  
4 anesthesia for, you know, fill-in-the-blank normal case, is a  
5 medication that is -- that, you know, relaxes the patient  
6 first, sometimes makes them a little forgetful. Go to the  
7 operating room, put all the monitors on, put something in the  
8 vein that puts -- that drifts the patient off to sleep.  
9 Sometimes -- oftentimes put in what's called a muscle blocker  
10 or a paralytic. Sometimes patients don't like to hear that  
11 term, but a muscle blockade, so that all the muscles in the  
12 body relax. And then the intubation and the surgery itself  
13 can be much more easily completed that way.

14 With neuromonitoring, obviously, when you have  
15 motor-evoked potentials and you want to see the twitch of the  
16 muscles, you can't use that sort of medication. Similarly,  
17 you have to tone down on the volatile anesthetic, the inhaled  
18 anesthetic that we typically use to keep -- to maintain  
19 anesthesia during a long case rather than a drip. So it's  
20 easily titratable. It's not something that, you know, you  
21 have running into the vein at a long period of time. You have  
22 to replace -- it has great properties in that it is  
23 essentially the -- the closest thing we have to a perfect

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 anesthetic: It's amnestic, it is analgesic, it is --  
2 maintains good hemodynamics, and it is -- to some degree has  
3 some muscle-blocking and muscle-relaxation properties.

4           So because we want to be doing these sorts of  
5 surgeries that have MEPs involved, in the muscle-evoked  
6 potentials -- motor-evoked potentials, excuse me, then we want  
7 to do things that do the minimum amount of blocking of muscle  
8 twitch. So, therefore, we would set up a different modality  
9 in most of these spine cases, usually called a TIVA -- total  
10 intravenous anesthetic -- which is a drip. So trying to,  
11 again, use something that we don't always use, but it is  
12 specific to, you know, certain types of cases where you want  
13 to avoid muscle blockade.

14           Q. So -- so it's fair to say that the neurosurgery itself  
15 is a very delicate dance between ----

16           A. Uh-huh. Yeah. Yes.

17           Q. ---- between the surgeon, the anesthesiologist, the  
18 technicians, the equipment that you have?

19           A. Uh-huh.

20           Q. Yes?

21           A. Yes, that is true. You know, in any complex aspect of  
22 modern care or, fill in the blank, you know, anything that we  
23 do these days requires good teamwork, good collaboration, good

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 coordination, and it matters -- you know, the best teams can  
2 predict each other. They work together a lot. They do three  
3 of these a day.

4           You know, some spine centers, that is what you'll see.  
5 You'll see, you know, they can get these down to a, you know,  
6 two-, three-hour case, the best teams in the world. And the  
7 outcomes that you glean from that sort of expertise and high  
8 reliability are shown in the numbers in terms of the outcomes  
9 that they receive, the lack of complications, the not having  
10 to go back to the OR for a complication.

11         Q. And that sort of well-married team is not available on  
12 island?

13         A. No.

14         Q. Have you met with Mr. Al-Tamir personally, to his  
15 knowledge?

16         A. No.

17         Q. Have you -- were you aware that he requested to meet  
18 with you?

19         A. I was.

20         Q. It's just -- it was something, I assume, you were  
21 mandated not to do?

22         A. As the -- as my job became further defined, it became  
23 the -- the guidance that I received from my direct senior that

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT



UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 the preference was strongly that I oversee care, that I not  
2 deliver care, and that I, to the degree possible, remain apart  
3 from. I would review the notes. I would talk with the  
4 physicians. I would give my two cents. I would collaborate  
5 with and I would try to facilitate to the degree possible.  
6 But beyond that, the guidance I've received, both leadership  
7 and legal, has been steer clear and try to remain independent  
8 of all sides.

9 Q. And just to loop back one last thing, sir, to  
10 something we clarified earlier, you, in medical terms,  
11 qualified Mr. Al-Tamir as a -- as of below-average health,  
12 but ----

13 A. I ----

14 Q. Go ahead.

15 A. I would call -- I mean, his -- his weightbearing is of  
16 concern. His -- the fact that we've had -- he's undergone now  
17 five spine surgeries is a concern. The aforementioned  
18 radiologic risk, exposure risk is a concern.

19 We went through his past medical history previously.  
20 Those are -- you know, they are not outside the realm of  
21 normal for his age, but it is concerning that we're talking  
22 about doing an additional surgery on a back that is not  
23 pristine, it is not normal anymore. And because of his

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 inability to bear weight, I cannot necessarily fully assess,  
2 you know, in a way that it would make me comfortable taking  
3 him to the OR, his current cardiovascular capacity.

4           So those are the things we worry about from an  
5 anesthesia standpoint of, Hey, can you walk up two flights of  
6 stairs? Do you get winded, you know, walking ten yards? If  
7 you do, yeah, that might be a concern. There are more formal  
8 ways to test, but, you know, writ small, that is kind of very  
9 quickly down and dirty what you do to say this is a person I  
10 feel is going to do fine with modern anesthetics, and this is  
11 someone who will not.

12           And then on top of that, you add what are the risks of  
13 the surgery, as in is this a team that's going to do it in two  
14 hours or is it going to take seven? What is the blood loss  
15 going to be? Am I going to be able to keep the blood pressure  
16 up sufficiently over what might be a prolonged case because of  
17 all those aspects we talked about.

18           Q. In all of those things ----

19           MJ [Lt Col ROSENOW]: Stand by, Counsel. During the last  
20 response, the counsel removed Appellate Exhibit 214I from the  
21 screen in front of the witness. Please go ahead.

22           I'm not saying you have to return it. I'm just  
23 documenting for any reviewing authority in this case, if there

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 is one, that he had available that appellate exhibit up until  
2 the moment that you took it away. I'll note that it's back up  
3 on the screen. So just make sure that we have that clearly  
4 defined.

5 DDC [CPT CASCIOLA]: Understood, sir.

6 Q. All of these medical issues with Mr. Al-Tamir make his  
7 surgery more complicated, but it also then increases the  
8 risk -- the postoperative risks; is that true?

9 A. Yes, I think that's a pretty safe assumption. It is  
10 only an assumption. But, I mean, we might -- you might bring  
11 down the crack team who gel almost automatically, have all the  
12 right equipment, all got a good night's sleep, all have good  
13 perioperative care, and postoperative nursing care is  
14 excellent, and there is no -- you know, and everything went  
15 perfectly. That is possible.

16 Is it -- I think the -- the concern I have is the  
17 assumption of risk, and so if you don't have everything  
18 perfectly lined up, akin to taking off in an airplane is --  
19 you know, is this working correctly, is that working  
20 correctly? Yes, yes, yes, yes, yes. Okay. Now we've gone  
21 through the most exhaustive checklist possible.

22 And I would posit that because a patient is not an  
23 airplane and you can't -- and you can't say, well, we're not

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 going to -- we're not going to fly this airplane today, it  
2 becomes more complicated. And there's no checklist for that.

3 We can do our best to find these sorts of things. We  
4 can define them down to, you know, the most minuscule detail,  
5 but you still are going to have uncertainties with human  
6 behavior, with the histories of the providers, that are far  
7 different from just taking a new piece off the shelf and  
8 putting it on the airplane.

9 Q. And the bottom line is that Mr. Al-Tamir is in a  
10 location that does not have the best team available on island?

11 A. You do not have the resident expertise to do the work  
12 that needs to be done -- would need to be done if another  
13 spinal surgery were to be entertained for Mr. Al-Tamir.

14 DDC [CPT CASCIOLA]: Your Honor, could I just have one  
15 brief moment to confer with counsel?

16 MJ [Lt Col ROSENOW]: That's fine.

17 **[Counsel conferred.]**

18 DDC [CPT CASCIOLA]: I have no further questions for this  
19 witness. Your Honor, would you like me to remove the exhibit?

20 MJ [Lt Col ROSENOW]: Trial Counsel, do you intend to make  
21 reference during any cross-examination, if you have one, to  
22 Appellate Exhibit 214I?

23 TC [MR. SHORT]: No. You can take down 214I.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 DDC [CPT CASCIOLA]: Thank you so much.

2 MJ [Lt Col ROSENOW]: Trial Counsel, we've been going for  
3 right around 45 minutes. Do you have an idea of your expected  
4 length.

5 TC [MR. SHORT]: Probably five or ten minutes, Your Honor.

6 MJ [Lt Col ROSENOW]: Please proceed.

7 TC [MR. SHORT]: If that.

8 CROSS-EXAMINATION

9 Questions by the Trial Counsel [MR. SHORT]:

10 Q. Dr. Kucik, do you know when the laminectomy -- the  
11 laminectomy with fusion was recommended?

12 A. When it was recommended? My understanding is it was  
13 relatively -- oh, do you mean the initial or the repeat?

14 Q. Yes.

15 A. The initial was -- as I was saying about the initial,  
16 was that that happened in September of '17 and -- I'm sorry,  
17 that was the ----

18 Q. Let me clear up, Doctor. I'm talking about the  
19 surgery we've been talking about that he wants to undergo now  
20 that was recommended ----

21 A. Oh, okay. So the redo at this point?

22 Q. Yeah.

23 A. Yeah, that was the most recent neurosurgical visit I

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 don't have the exact dates of, but that was I want to say  
2 sometime between, I'd say, February or March time frame. I  
3 don't recall exactly when the neurosurgeon was down here most  
4 recently.

5 Q. Okay. And then ----

6 MJ [Lt Col ROSENOW]: February or March of 2022?

7 WIT: No, I've got it in my notes. My apologies.

8 MJ [Lt Col ROSENOW]: Sir, are you consulting something up  
9 there?

10 Q. Doctor, do you have notes in front of you?

11 A. I do have a note.

12 Q. Okay.

13 MJ [Lt Col ROSENOW]: I will just cross that bridge when  
14 we get to it. And I think we're at that bridge. So,  
15 government, is there anything you want to do with this note --

16 TC [MR. SHORT]: Your Honor, I think his notes are  
17 probably just normal medical notes that he takes. I don't  
18 need to review them. If he needs to review his notes to have  
19 an accuracy on something like that, I don't have any problem  
20 with that, Your Honor.

21 MJ [Lt Col ROSENOW]: I'm just recognizing that notes used  
22 during examination are generally referred to as a mode of  
23 refreshing recollection of the testifying witness, and

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 certainly the typical practice would be to make those  
2 materials part of the record. But I understand that the  
3 government's position is that they have no quarrel or concern  
4 with this.

5 Let me just let you know, Doctor, at this time, if you  
6 could turn the notes over ----

7 WIT: Sure.

8 MJ [Lt Col ROSENOW]: ---- and not reference them during  
9 your testimony, that would be much appreciated. And then  
10 we'll deal with whatever follows therefrom.

11 If you do need to make reference to it, the normal  
12 practice would be, again, for you to say, can I consult my  
13 notes? That way it's not left to what I saw and then what I  
14 said into the audio recording, but instead it's very clearly  
15 stated how you're testifying in reference to what. Does that  
16 make sense?

17 WIT: It does, Your Honor.

18 MJ [Lt Col ROSENOW]: Thank you.

19 TC [MR. SHORT]: And, Your Honor, I would like to  
20 follow-up with a couple questions ----

21 MJ [Lt Col ROSENOW]: Absolutely.

22 TC [MR. SHORT]: ---- regarding the notes.

23 Q. Doctor, did you refer to your notes at all during the

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 direct examination?

2 A. Yes, to the past medical history of the patient.

3 Q. Okay. Thank you for that, Doctor.

4 And when did you take those notes?

5 A. These were -- I have a -- I maintain a file on all of  
6 the patients, and I typically will keep that in my safe in the  
7 office, typically pull out a -- if I'm going to a meeting on  
8 something, I'll make a copy of it and then shred it at the end  
9 of the meeting ----

10 Q. And so ----

11 A. ---- if there's anything of concern there.

12 Q. And so I guess my -- what I'd like to know is these  
13 are notes taken in the course of your profession and what you  
14 do here on island in your duties?

15 A. Exactly, yeah.

16 Q. Okay. Okay. And so, Doctor, going back to my  
17 question, if you have to refer to your notes as to when that  
18 laminectomy was recommended.

19 A. Yes. And if I may refer to my notes, Your Honor, it  
20 would have been in September of '21.

21 MJ [Lt Col ROSENOW]: You may. Thank you.

22 Q. Thank you. We heard -- a lot of the questions were  
23 asked about neurosurgical teams, all sorts of equipment that

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT



UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 would be required for a surgery, a laminectomy with the  
2 fusion, and is that a laminectomy, a discectomy, or is that  
3 just merely a laminectomy with fusion, Your Honor -- or  
4 Doctor?

5 A. Not my purview. Not my -- when the neurosurgeon says  
6 we need to do such and such, the anesthetic implications of it  
7 don't really make any difference to us insofar as, you know,  
8 what the actual anatomy is, what the actual procedure is. We  
9 just know, okay, we're going to have to do this position,  
10 we're going to have to do these modalities. We're going to  
11 have to make sure the MEPs and SSEPs are working and we're not  
12 impinging on those through our anesthetic technique, and then  
13 we worry about, you know, positioning blood -- you know,  
14 availability of blood, blood loss, et cetera, but those  
15 essentially make no difference and have never entered major  
16 concern in my practice.

17 Q. Thanks. So the questions that were asked on direct  
18 examination from defense counsel seem to indicate that we  
19 wouldn't have something on island, and it was -- many of those  
20 questions were finished with "on island."

21 So the neurosurgeon would -- how would he then perform  
22 the neurosurgery in the future?

23 A. Well, it would have to be a very -- as I mentioned the

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 checklist, it would have to be a very complex and, you know,  
2 multitiered, multispecialist-reviewed list, wish list, of we  
3 must bring this. Well, let's make sure we bring two sets of  
4 it. Well, we must bring -- we must bring -- make sure that  
5 the fluoroscope on island is working, make sure that we're  
6 bringing down a proper table on which you can prone a patient,  
7 and is also able to accommodate a C-arm fluoroscopy so you can  
8 look intraoperatively and see that you're going in the right  
9 direction.

10           The blood is another issue. The medications that we  
11 might use for the most part will be here. The anesthetic --  
12 the anesthesia machine, the ability to do the TIVA, the total  
13 intravenous anesthetic. Those are all here. The  
14 concerns ----

15           Q. Doctor ----

16           A. Yeah.

17           Q. ---- if I may. I think you went just a little bit  
18 beyond what I was looking for.

19           A. Okay.

20           Q. So would -- after they performed this checklist, say,  
21 back in the States, they would bring all that stuff to island?

22           A. Right, right. So it would probably be loaded up on  
23 whatever lift has been previously arranged. For all that

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 we're talking about here, it would be, you know, some sort of  
2 a very -- a military aircraft that would fly it down at that  
3 point, and then, obviously, land, obviously bring it across,  
4 and try to set it up to the degree possible in a new -- in  
5 a -- in a new-to-them operating room, which is kind of small,  
6 honestly, by neurosurgical standards.

7 Q. And so they -- and they also have the ability to take  
8 this equipment anywhere around the world, correct?

9 A. They can, yeah. This has been done. Obviously,  
10 neurosurgery has been done in recent conflict in battlefield  
11 conditions. And it's been done and done successfully and  
12 quite, you know, very good outcomes in many cases that way.  
13 That said, of course, those are infantrymen, Marines,  
14 sub-elite athletes, if you will.

15 Q. Understood. And in the past, the past surgeries that  
16 Mr. -- that the accused underwent, they brought all the  
17 equipment with them as well?

18 A. There was some resident on island, is my  
19 understanding; but by and large, I think pretty much  
20 everything had to be brought down that was specific to the  
21 instrumentation of the spine.

22 Q. And -- and when they go through that checklist,  
23 they'll check to see if there's -- any of the machines -- I

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 don't need to be specific with any of the machines, but  
2 anything that they need, they'll check to see if it's already  
3 here?

4 A. They will -- yeah, they will -- my understanding is  
5 they will ask, Hey, what do you have? It depends on who is  
6 answering the question, how familiar they are with what's  
7 there already. It might take some time to go assess, yes, we  
8 have this; no, we don't have that; we have a fluoro, but it's  
9 not working, et cetera. So it's -- it's dependent on the  
10 heroics of the person answering the phone.

11 Q. Okay. And my understanding is, I believe it was the  
12 fluoro that in the last surgery, even though there was a  
13 working fluoro here, that they brought one for redundancy  
14 purposes; is that correct?

15 A. I have heard that. I don't know that for certain.

16 Q. And in terms of any future surgeries, they would  
17 probably bring two if there were not one working, correct?

18 A. I would assume that.

19 Q. And that would be part of the checklist that the  
20 surgeon would go through to make sure that they had everything  
21 that they needed to perform that surgery correctly, correct?

22 A. Right. And I would hope that there would be, you  
23 know, a multidisciplinary discussion about that planning of,

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 hey, you need this, hey, you need this. Oh, by the way, we  
2 need to -- let's think about the postoperative period, too.  
3 What's the monitoring going to be like, you know, so that we  
4 don't have, you know, that hematoma that happened previously  
5 or you know, some other untoward event from the standpoint of,  
6 you know, the whole perioperative period, not just the skin to  
7 skin.

8 Q. And the -- in terms of the checklist in a preplanned  
9 surgery, part of that checklist -- or at least part of the  
10 planning would be the proper sleep and care of the people that  
11 are coming down?

12 A. That would be preferable. I know that there are not  
13 necessarily rules like there are on flight crews for such  
14 aspects, and that is -- that is an eccentricity of medicine to  
15 some degree that you might find some that feel they can push  
16 through as their training might have taught them.

17 But I would suspect -- and again, this is purely  
18 speculation -- those that are brought down to do that,  
19 depending on their proclivities, would probably -- I'm going  
20 to check my equipment one more time; I'm going to, you know,  
21 go through the surgical plan one more time. I don't know.

22 Q. And that would be the same if they were in the States  
23 or if they were down here flying down, correct?

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1           A. Yes. I mean, whenever we enter -- whenever we  
2 introduce some unknown -- you know, for instance, I've never  
3 been here. So I got up early and I did something I almost  
4 never do. I got McDonald's on the way. You just -- you do  
5 something different when you are in, you know, a new  
6 environment.

7           Q. Okay. And the SMACD that you were discussing a few  
8 minutes ago, it's my understanding -- I just want to kind of  
9 make sure that I have the understanding correct, that the  
10 problems with the MRI -- you know, getting an MRI machine has  
11 been raised to the SMACD?

12          A. Yes. Oh, it's been talked about at length within that  
13 and still -- you know, and I don't -- but I don't think that  
14 that was anything necessarily for a decision as much as it was  
15 for all parties to be aware. And then what decisions have  
16 been made about it have been made, you know, direct between  
17 two or three different entities.

18          Q. So in terms of your recommendation, the SMO's  
19 recommendation -- and the SMO's recommendation is the same, to  
20 get an MRI machine on island?

21          A. Absolutely. You know, we -- well, he -- Mr. Al-Tamir  
22 definitely needs an MRI if there's going to be further  
23 surgical planning done. Now, again, not being the surgeon,

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 you might find a surgeon who says I can proceed without.

2 That's on his license or her license.

3 Q. Okay.

4 A. But I would say that there are going to be very few  
5 that would pony up to that risk without every possible  
6 standard of care being met.

7 Q. And the -- and currently the neurosurgeon has  
8 recommended an MRI prior to surgery?

9 A. Yes.

10 Q. Okay. And so in your position, after recommending the  
11 MRI, the SMO recommending MRI, and the neurosurgeon  
12 recommending MRI, is it your understanding then that, for lack  
13 of a better term, that the higher ups are developing COAs to  
14 make sure there is an MRI available?

15 A. Yes, they are.

16 Q. And is my understanding also that it's not required  
17 that we have a permanent MRI machine on island, that they can  
18 be leased and they can be different -- there's different COAs  
19 that are available; is that correct?

20 A. That's correct.

21 Q. And that's for the people that are involved in the  
22 procurement and acquisition of these types of big-dollar  
23 equipment, correct?

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1           A. Right. If we're talking only about taking care of  
2 Mr. Al-Tamir in terms of surgical planning and then intraop,  
3 slash, postoperative care, then yes, it could be a  
4 time-limited event. I understand they're looking at a lease  
5 with an option to buy; but, yeah, I think it could be  
6 something that, you know, this is an acceptable COA.

7           Q. Okay. And the last MRI machine, I think you had  
8 indicated that it was part of a military commission-directed  
9 order to have that MRI machine on island?

10          A. That's my understanding, yes.

11          Q. And after it arrived, there was -- at least it was  
12 used not only for the one that was court-directed, but for  
13 multiple detainees; is that correct as well?

14          A. Yes, the JMG makes do with what it has. And when  
15 they're gifted a, wow, I've got this new imaging modality I  
16 would never have had otherwise, you better believe I'm going  
17 to use it. And I applaud them for adjusting to this new  
18 opportunity.

19          Q. And the accused was -- also underwent MRIs at that  
20 time while it was still operable?

21          A. That's correct.

22          Q. Okay. Doctor, you mentioned a couple times the  
23 assumption of risk, that there's always an assumption of

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT



UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 risk ----

2 MJ [Lt Col ROSENOW]: Counsel, if I could ask you, could  
3 you accomplish the similar line of examination with respect to  
4 the DEXA scan machine that you just accomplished?

5 TC [MR. SHORT]: Your Honor, I had it in my notes and I  
6 skipped right over it. Thank you.

7 MJ [Lt Col ROSENOW]: I don't have your notes here, to be  
8 clear, but I expected that would be the follow-on line.

9 TC [MR. SHORT]: It was supposed to be and I apologize.

10 Q. Regarding the DEXA scan -- and I just want to make  
11 clear, I want to be clear, is there alternatives to the DEXA  
12 scan?

13 A. My understanding is that there is. I've never -- not  
14 being a person who looks at DEXA scans a lot, I know the  
15 smattering of, you know, how to interpret one, what the  
16 T-score means, where it would be in terms of normalized to the  
17 population on which the study was done, but -- and I do know  
18 that there is an alternative way to do it through a CT scan.

19 I do not know the relative incidence of having to  
20 refer or, you know, depend on an alternative pathway to  
21 determine bone density. It just -- it's a -- it can be done,  
22 but we don't do it because this is -- this is the standard of  
23 care. This is the normal thing that we do throughout the

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 States. It is regulated. It is normalized. It does not have  
2 the same level of radiation exposure and, therefore, it is  
3 the -- you know, the de facto preferred method.

4 Q. And I think you testified that you're not aware of any  
5 procurement or acquisition in the works for a DEXA scan?

6 A. I have not heard anything regarding that.

7 Q. And has that been raised to the SMACD?

8 A. The -- yes, it has. It was ancillary to the  
9 overarching discussion. And the MRI seemed to be the more  
10 pressing concern, and it has, therefore, received the more --  
11 you know, more in-depth consideration.

12 Q. So I'll go into the assumption of risk. You said that  
13 there's an assumption of risk no matter -- you know, with the  
14 surgeons coming down here ----

15 A. Of course.

16 Q. ---- is that what you testified?

17 A. Yes.

18 Q. And there's always an assumption of risk, no matter  
19 where you go and do surgery?

20 A. Yes, absolutely.

21 Q. And, Doctor, the last thing I do want to touch on is  
22 that: Did anybody advise you not to testify towards certain  
23 things or either avoid certain things, other than

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 classification issues?

2 A. No. No, I -- there were considerations that were  
3 brought up previous to this, conversations you and I've had,  
4 conversations I've had with the defense, conversations I've  
5 had back with my OGC contacts and with, you know, other  
6 concerned parties at -- in OSD. But, no, I've never been  
7 directed you shall, you shall not, regarding any aspect of  
8 nonclassified material.

9 TC [MR. SHORT]: Okay. That's all I have.

10 MJ [Lt Col ROSENOW]: Thank you. Defense Counsel, within  
11 that scope, anything additional to pose to the witness?

12 DDC [CPT CASCIOLA]: Your Honor, we have a few questions,  
13 but could we please take a break?

14 MJ [Lt Col ROSENOW]: So since there's a potential exhibit  
15 with the witness, I'd like to adjudicate that matter before we  
16 pivot forward.

17 Defense Counsel, what say you regarding the -- I think  
18 you said, sir, one page of notes?

19 WIT: Front and back.

20 MJ [Lt Col ROSENOW]: Front and back. All right. So two  
21 pages if copied.

22 DDC [CPT CASCIOLA]: Excuse me, Your Honor. We would  
23 request a copy of the notes, but we are absolutely fine with

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 the witness referencing the notes throughout.

2 MJ [Lt Col ROSENOW]: I didn't catch the last part. You  
3 would request a copy, but ----

4 DDC [CPT CASCIOLA]: But we are fine with him referencing  
5 the notes.

6 MJ [Lt Col ROSENOW]: Throughout his testimony?  
7 Understood.

8 Doctor, is there anything on those notes that falls  
9 under any protection of classification or any kind of medical  
10 privilege that you might define within the broadest reach of  
11 that term?

12 WIT: No, Your Honor, it's deidentified. It is -- it has  
13 nothing from my latest read, my iterative read of the security  
14 classification guidance that has anything to do with anything  
15 that would not be considered FOUO.

16 MJ [Lt Col ROSENOW]: Understood, and thank you.

17 Do you have any disagreement or concern -- I'm going  
18 to hear from you, Government, before I order anything with --  
19 during this break there being made a copy of it so that it can  
20 be included in the record for any reviewing authority, if  
21 there is one in this case?

22 WIT: I have no concerns. You may need to contact me to  
23 interpret my handwriting.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 MJ [Lt Col ROSENOW]: Understood. I expected that.

2 And then, Trial Counsel?

3 TC [MR. SHORT]: Your Honor, it would still have to go  
4 through a classification review by the OCA.

5 MJ [Lt Col ROSENOW]: So I know there's steps that we have  
6 to take here, but, Government, is there a process in place  
7 here or -- I guess I should say a mechanism in place here to  
8 take a copy and return the item or, because of what you've  
9 just described, is the item going to need to be taken by the  
10 government and then go through that process?

11 TC [MR. SHORT]: No, Your Honor. We can take a copy and  
12 make sure that it goes through the classification review.

13 MJ [Lt Col ROSENOW]: So I'll leave that with you to do,  
14 and we'll revisit -- I'll intend to revisit this on the record  
15 again so that it's plainly explained; but barring intervening  
16 circumstances changing this way ahead, it will be attached to  
17 the record in some format. If that's in a redacted format and  
18 then in an unredacted in a different place, we can manage  
19 those issues as necessary.

20 And then for the point of any reviewing authority to  
21 understand this, the construction of the courtroom is such  
22 that I can't really see what the witness may be looking at.

23 I would ask, then, for the individuals calling

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 witnesses going forward to advise their witnesses that if you  
2 come up with material, that's not the normal practice, but the  
3 typical response from this tribunal will be to get that marked  
4 for the record and go from there.

5 Is 15 minutes sufficient for you, Defense Counsel, to  
6 manage preparation for the next setting?

7 LDC [MS. HENSLER]: Yes, Your Honor.

8 MJ [Lt Col ROSENOW]: Trial Counsel?

9 TC [MR. SHORT]: Yes, Your Honor.

10 MJ [Lt Col ROSENOW]: Sir, do you recall the instruction I  
11 had given you last time?

12 WIT: I do.

13 MJ [Lt Col ROSENOW]: Thank you. The same instruction  
14 applies.

15 The commission is in recess for 15 minutes.

16 [The R.M.C. 803 session recessed at 1105, 7 June 2022.]

17 [The R.M.C. 803 session was called to order at 1123,  
18 7 June 2022.]

19 MJ [Lt Col ROSENOW]: The commission is called to order.  
20 The parties are present as they were before the break. The  
21 accused remains present as well. And the witness is on the  
22 stand under oath.

23 Trial Counsel, were you able to make a copy over the

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 break?

2 TC [MR. SHORT]: Your Honor, I apologize. I do -- I did  
3 misunderstand Your Honor's order on that. And I wasn't sure,  
4 because he was still on the stand, whether I should be  
5 approaching him and taking his notes from him. Plus, before  
6 we turn it over to defense, we would have to go through the  
7 security classification review process, Your Honor.

8 MJ [Lt Col ROSENOW]: I'm tracking that as well. I'm  
9 merely asking if you made a copy, and the answer's no, I  
10 understand.

11 TC [MR. SHORT]: No.

12 MJ [Lt Col ROSENOW]: So that makes it clear to me we  
13 should maintain positive control of this if he is released  
14 here in a moment or several moments of this item; is that  
15 correct?

16 TC [MR. SHORT]: Yes, Your Honor.

17 MJ [Lt Col ROSENOW]: Thank you. And I'll let you -- when  
18 I say we, I'll let you, Government, maintain control.

19 TC [MR. SHORT]: Yes, Your Honor.

20 MJ [Lt Col ROSENOW]: Defense Counsel, any concern with  
21 that way ahead?

22 DDC [CPT CASCIOLA]: Your Honor, I have no concern with  
23 that way ahead. We would, of course, ask that, once proper

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 channels are gone through with regard to these notes, that we  
2 receive the notes promptly and that they not be redacted since  
3 we are almost positive they're not unclassified based on what  
4 the witness said.

5 MJ [Lt Col ROSENOW]: Thank you. The important point for  
6 the court -- or the commission, rather, is that the government  
7 has acknowledged they will keep hold of these things and we  
8 can talk about how they come along and become part of the  
9 record. Since there's not a copy that's been made, I'm going  
10 to ask those notes to be held by the government. And I got a  
11 nod from the witness in understanding.

12 WIT: Yes, Your Honor.

13 MJ [Lt Col ROSENOW]: Thank you, sir.

14 Government?

15 TC [MR. SHORT]: Your Honor, before we begin, there's one  
16 issue I'd like to bring up. Dr. Kucik during the break was  
17 reviewing some papers. I don't know if they pertain to this  
18 case or if they're some other notes on something else that  
19 he's working on, Your Honor. So I would like an inquiry on  
20 that.

21 MJ [Lt Col ROSENOW]: Certainly. Doctor?

22 WIT: Yes. It was the proceedings of the recent  
23 Anesthesia History Association meeting I attended in Denver,

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT



UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 May 12th.

2 MJ [Lt Col ROSENOW]: Is that anything relevant to these  
3 proceedings?

4 WIT: No, something merely to pass the time.

5 MJ [Lt Col ROSENOW]: Almost like reading a *Newsweek*  
6 magazine, *U.S. News & World Report*? I'm expressing no  
7 preference for one or the other.

8 WIT: Exactly, Your Honor.

9 MJ [Lt Col ROSENOW]: Understood. Thank you.

10 Any concern with that, Trial Counsel?

11 TC [MR. SHORT]: No, Your Honor.

12 MJ [Lt Col ROSENOW]: Defense Counsel?

13 DDC [CPT CASCIOLA]: No, Your Honor.

14 MJ [Lt Col ROSENOW]: Thank you. Please don't consult  
15 anything while you're answering questions.

16 If you would, please, proceed, Defense Counsel.

17 DDC [CPT CASCIOLA]: Yes, Your Honor, thank you.

18 **REDIRECT EXAMINATION**

19 **Questions by the Detailed Defense Counsel [CPT CASCIOLA]:**

20 Q. Sir, the trial counsel went through a discussion with  
21 you regarding sort of a checklist of items that would be  
22 required prior to a surgery; is that fair to say?

23 A. Yes.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 Q. There -- it's impossible, though -- you would agree,  
2 it's an impossibility to plan for every potential thing that  
3 could go wrong in surgery?

4 A. There are -- there are varying approaches to doing it,  
5 and you will find that different surgeons, different  
6 anesthesiologists, they'll all have their own individualized  
7 checklist. Some have been standardized. The preoperative  
8 checklist that would happen before a surgery, for instance,  
9 has more or less been standardized. You know, the operating  
10 room nurse says this, the surgeon says this, the  
11 anesthesiologist or CRNA says this. Everyone makes sure that  
12 all -- we're all on the same sheet of music, all questions  
13 have been answered. But that's for, you know, just your  
14 standard surgical event that's going to happen on any day in  
15 any given OR around the country, around the world.

16 To predict, you know, all the things that could go  
17 askance on, you know, a very complex surgery that requires  
18 movement, requires airlift, requires different personnel,  
19 credentialing, yeah, that's a much bigger checklist. So would  
20 it -- there's more risk to -- there are more unknowns, I guess  
21 it's fair to say, than would be the standard mark one motto  
22 case that you walk into.

23 Q. Is it fair to say there is a higher chance of omitting

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 something you could -- as a physician or a surgeon, come to  
2 need in the middle of that surgery?

3 A. Well, these things are designed -- modern surgical  
4 practice, modern anesthesia practice, modern safety science  
5 and whatever pathway, the checklist the pilot went through to  
6 get you all down here, for instance, these are tried and true  
7 because people do not perform well in -- in new environments.  
8 You know, we tend to -- this is the way I always do it, this  
9 is what I'm comfortable with. I understand why I do it this  
10 way. And then you need expertise to manage the very, very  
11 small things that fall outside the realm of normal. And  
12 that's why we go through, you know, so much training.

13 But you don't want to use that all the time. This  
14 is -- everyone's probably read *Thinking, Fast and Slow*, you  
15 know. We think in different ways. To the degree possible we  
16 can be on autopilot and then focus -- use our intense focus on  
17 the very, very small, very, very few things that are going to  
18 be more complicated. That's probably better. That's how we  
19 drive here in the morning. That's how we do everything we do.  
20 The more complex it gets, the sooner we become task saturated,  
21 the sooner we make mistakes, and the sooner the patient  
22 suffers for it.

23 Q. And one of the indicators of -- well, tell me if I'm

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 wrong. One of the indicators during surgery that there's more  
2 cognition being required of the members in the surgery is the  
3 length of the surgery itself?

4 A. Not necessarily. You would get fatigue if you start  
5 getting, you know, to a period of time that's beyond the norm.  
6 The abnormalities, the perturbations I worry about when you  
7 get a surgery longer than for the standard for -- you know,  
8 for instance in, you know, let's take a spine case. If it  
9 means putting a patient prone for a long period of time, then  
10 there are risks to that.

11 There is airway edema from dependent structures of the  
12 face that might make extubation more difficult. There's  
13 prolonged blood loss. There's a longer period of anesthesia.  
14 There is intraoperative hypothermia that might become a risk  
15 if you don't have -- you know, if you've got a lot of exposed  
16 skin or an open wound that is, you know, losing heat and vapor  
17 to the environment. There's the development of intraoperative  
18 blood clots.

19 There are any number of things that can go wrong, so  
20 shorter is better, and we would prefer in practice not to have  
21 people under anesthesia for prolonged periods of time. And,  
22 you know, not necessarily because this might be prolonged not  
23 because someone's, you know, working at the top of their game

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 the entire time, but it might be simply, oh, I dropped this  
2 instrument, it needs to be flashed and cleaned suddenly. So  
3 there's a delay that's kind of inherent to any one of these  
4 things that comes off the rails.

5 Q. And just going back again to this checklist very  
6 quickly. To your knowledge, there -- is there a checklist  
7 currently for Mr. Al-Tamir's sixth surgery?

8 A. That would be -- well, there are probably -- there are  
9 several. I would say that there is what the JTF and JMG and  
10 SOUTHCOM have already done in terms of attempting to do this  
11 before, lessons learned that have been filed away and  
12 hopefully has been gone through with a thorough after action  
13 report and said, yeah, this worked well, that didn't so much,  
14 let's make sure we improve this.

15 There is the individual surgeon and what he thinks  
16 that he's going to need for certain to bring down here and  
17 possibly do that in triplicate. There are the lists of the  
18 individual staff members. The anesthesia provider would -- if  
19 I were to do this case, I would say, okay, I'm doing a back  
20 case. I'm going to go pull my case card for this and I'm  
21 going to review, you know, the best knowledge I have from --  
22 from residency and from practice as to, yeah, okay, then I  
23 would do this, then I would do this. I would make sure I had

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 all my medications labeled. So everyone's going to have a  
2 checklist of their own.

3 The movement aspect of it, the, you know, the G-4  
4 aspect of it, all those aspects, you know, not my purview.  
5 But, yes, it would be a very complex list when taken from  
6 everybody who is going to have a say in this.

7 Q. Okay. And you mentioned after action report. Does  
8 that mean that there are prior checklists and prior after  
9 action reports and evaluations of his other surgeries?

10 A. I have not seen them. I said that in a hypothetical,  
11 I hope that this has occurred. But it is a -- again, all of  
12 his surgeries occurred before my billet was created. I try to  
13 encourage that sort of capture of corporate knowledge. To the  
14 degree that I've been successful of that, I can't say.

15 Q. Some of the items that would be needed that you spoke  
16 about needing to come down on island to GTMO -- for example,  
17 you mentioned like the table, a few other things, sir.

18 A. Uh-huh.

19 Q. Those are items that don't simply get on the rotator  
20 or the OMC flight down here, right?

21 A. That's correct.

22 Q. It requires a logistical push to get them down here?

23 A. Yes.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 Q. And can all of those things needed that we know are  
2 needed for Mr. Al-Tamir's sixth surgery, can they actually  
3 physically go in the space available at Naval Station  
4 Guantanamo Bay's hospital?

5 A. It would be a tight fit for the things that would need  
6 to be, kind of, put into the room such that, you know, the  
7 surgeon could refer to the films as needed for intraoperative  
8 confirmation of proper placement. The C-arm, of course, would  
9 have to be wheeled in, wheeled out. You'd have to have  
10 initial space to bring in a gurney, induce anesthesia, make  
11 sure everything is correct, then flip to the other table, and  
12 then that gurney would go out of the room.

13 And then, of course, you'd have to have enough  
14 movement space for the anesthesia provider to get over to the  
15 delivered blood and do the safety checks there before it's  
16 administered. So there are -- there's a significant amount of  
17 space for a surgery like this that would be -- it would be  
18 tight.

19 Q. So not only now are we talking about issues with  
20 equipment and resourcing and personnel, there is literally an  
21 issue with the space of the room that this operation would  
22 have to occur in?

23 A. Naval Hospital Guantanamo Bay was -- my understanding,

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 was built in the '50s. There simply wasn't the logistics that  
2 go into -- there weren't -- there wasn't the technology at  
3 that point that was foreseen to be built to. And that's --  
4 and those things have gotten big, and those things have gone  
5 to operating rooms that are three, four times the size of what  
6 you have at the naval hospital.

7           So, yes, I would say there are a lot of things that go  
8 into it. It would be a very tightly packed room.

9           Q. And all of this that we're talking about, the  
10 logistical support, the resourcing, that's when you know that  
11 a spinal surgery is going to be planned, you're planning for  
12 that thing to happen. There are emergent spinal surgeries,  
13 would you agree?

14          A. Yes.

15          Q. And, in fact, Mr. Al-Tamir had an emergent spinal  
16 surgery in the past?

17          A. He had one, yes.

18          Q. And in that case it would be much more difficult to  
19 get everything on all these checklists to line up?

20          A. Yes.

21          Q. You spoke a little bit about the alternatives to MRI,  
22 the alternatives to DEXA scan, and I think you were basically  
23 saying, sir, that in theater we use alternatives because we

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT



UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 don't always have what we need, right?

2 A. Uh-huh, yes.

3 Q. But that's in theater in an austere environment with  
4 patients that are of a certain standard of health already.  
5 Would you say that's fair?

6 A. I would say to the degree possible you try to prepare  
7 in a specific fashion that you know is the most effective.  
8 When you have to err or deviate from the norm, you should have  
9 good reason and good planning behind it. And, yes, in the  
10 cases where that has been successful and these sorts of cases  
11 have been done overseas, you know, in response to combat  
12 injury, in response to mass casualty, oftentimes -- which is  
13 not to be -- not to be -- it's not surprising to anyone to  
14 think that a spine surgery done on a 20-year-old Marine will  
15 be -- will have better outcomes.

16 Q. Exactly. And Mr. Al-Tamir, as we've already gone  
17 over, is not that person?

18 A. Correct.

19 Q. And, in fact, the high-value detainees in general are  
20 a geriatric population?

21 A. None of us are getting younger.

22 Q. Well, not you, sir, but the detainees, of course, are  
23 not either?

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 A. That's correct.

2 Q. Yes. Okay.

3 DDC [CPT CASCIOLA]: Your Honor, I think that's it. Thank  
4 you.

5 MJ [Lt Col ROSENOW]: Trial Counsel, within that scope?

6 **REXCROSS-EXAMINATION**

7 **Questions by the Trial Counsel [MR. SHORT]:**

8 Q. Yeah. Neurosurgeon that's planning the surgery, he's  
9 familiar with the spaces available to him, correct?

10 A. My understanding is, yes, he's worked down here  
11 before. I believe he did one of the previous -- one or more  
12 of the previous surgeries, not the -- I think the first two or  
13 three, but, yeah, he's been involved since. So he has worked  
14 in that space. Again, I don't know this clinician.

15 Q. All right. And ----

16 TC [MR. SHORT]: That's all. There's nothing else.

17 MJ [Lt Col ROSENOW]: Thank you. I don't have any  
18 questions for the witness. I do have a question for the  
19 defense.

20 You called this witness. He provided different  
21 opinions over the course of his testimony and an introduction  
22 that included his experience, his training, his education, and  
23 the base of his knowledge. He was not offered as an expert by

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 the defense and he was not qualified as an expert by this  
2 commission.

3 Defense Counsel, is there anything else on this regard  
4 that you wish to accomplish on this witness or would you like  
5 the commission to consider his testimony as it was delivered?  
6 You have a moment to consult amongst yourselves.

7 [Counsel conferred.]

8 DDC [CPT CASCIOLA]: Your Honor, we need do nothing more  
9 with this witness.

10 MJ [Lt Col ROSENOW]: Trial Counsel, you similarly adduced  
11 evidence from this witness on cross-examination in the form of  
12 opinions. Anything else from the government?

13 TC [MR. SHORT]: Your Honor, this witness was called in  
14 the position of -- in his position as the chief medical  
15 officer, not as an expert for the government. He is not a  
16 government expert. He is not a defense expert. He has not  
17 been retained by either side. And so he should not be  
18 considered as an expert, but his testimony and opinions are a  
19 matter of the record now. And certainly this is not before a  
20 jury where we have to qualify an expert before a jury, Your  
21 Honor.

22 MJ [Lt Col ROSENOW]: I'm certainly not asking you to sort  
23 out if I can consider the evidence. I am considering the

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 evidence that came in without objection, and even if it came  
2 in over objection in accordance with the M.C.R.E.

3 I'm observing that the testimony as given is in the  
4 form of a lay witness, not as an expert witness. And I didn't  
5 want there to be any confusion from the counsel as to what  
6 kind of testimony was received based on the processes that  
7 were followed. It appears that there is no confusion. So  
8 thank you for that clarification.

9 I'll go to you first here, Defense Counsel. Do you  
10 desire that this witness remain available to provide  
11 classified testimony subject to the commission's ruling after  
12 a hearing under M.C.R.E. 505(h)?

13 DDC [CPT CASCIOLA]: Your Honor, he need not remain  
14 available today. We anticipate that we will be, based on his  
15 testimony, drastically amending the 505 request to narrow it  
16 significantly. And so I do not think that we need to do that  
17 today, Your Honor. But certainly that's my opinion, I just  
18 believe it's more efficient and economic for the commission  
19 that we narrow the potential issues.

20 MJ [Lt Col ROSENOW]: So what I hear from you is the  
21 answer is, yes, we want him to be held subject to recall; but,  
22 no, we do not expect to be able to call him today because the  
23 issues have been winnowed and there might be consensus from

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 the parties about what remains?

2 DDC [CPT CASCIOLA]: Yes, Your Honor. In a more succinct  
3 way of putting it, thank you.

4 MJ [Lt Col ROSENOW]: You tell me, I read back, that way  
5 we avoid confusion. And I appreciate your patience as I do  
6 that.

7 Trial Counsel, does that work for you as a way ahead?

8 TC [MR. SHORT]: Your Honor, I renew my objection  
9 regarding, you know, that there's nothing -- I don't believe  
10 we brought up anything in controversy through this witness.  
11 It was more of a discovery type of deposition than anything  
12 else. I don't see any need for this witness in the future,  
13 as the matters under AE 214 were testified to, even very  
14 briefly, actually, that covered under that. And so I think  
15 the witness should be excused, Your Honor, and there's no need  
16 for any additional testimony whether classified or  
17 unclassified, Your Honor.

18 MJ [Lt Col ROSENOW]: I understand that that's the  
19 position you'll arrive at, and I take that to mean as well  
20 that you have a preference to not take up right now this  
21 question under M.C.R.E. 505(h), or should I take from that  
22 something else?

23 The question that's being presented to us at this

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 point, Trial Counsel, is should we push along without the  
2 defense revising its previous notice into what would be the  
3 next step that was agreed upon, talking about what issues  
4 might be taken up, if any, inside of a classified setting, or  
5 should we forestall that conversation to determine if an  
6 additional setting in which he might be able to speak more  
7 freely should be had?

8 TC [MR. SHORT]: Yes, Your Honor, I think it's the latter,  
9 if there is additional.

10 MJ [Lt Col ROSENOW]: And I take from that no concession  
11 that there is required from the government's measure such a  
12 session. Very well.

13 Do we have a bailiff who is allowed to move freely  
14 around the room and who is masked?

15 Thank you. If you could recover the one-page document  
16 that the doctor was testifying from. Thank you. And you can  
17 take that to the trial counsel's table.

18 Sir, I have a -- stand by.

19 TC [MR. SHORT]: Your Honor, just for the record, I have  
20 received the document; a one-page, two-sided document.

21 MJ [Lt Col ROSENOW]: Thank you for that.

22 I've been handed a note, just for all the counsel who  
23 are appearing. I understand there are some conventions about

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

**UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT**

1 what may be seen on your person by the public, so if we could  
2 just all ensure that we are in conformity with those policies.  
3 Thank you for that.

4           Doctor, I have a slightly different instruction than I  
5 had delivered before, because we're going to have a longer  
6 break here. You are in the, not middle of your testimony  
7 because you've gone through direct and cross-examination, but  
8 you are being held subject to recall. What that means is  
9 while this case is pending, meaning for at least the next  
10 several days before you might be here again or potentially  
11 longer in the future, do not discuss your testimony or your  
12 knowledge of this case with any other witness or potential  
13 witness. You can discuss these things with the trial counsel  
14 and with the defense counsel.

15           Additionally, as part of your normal practice, you're  
16 allowed to consult materials and accomplish tasks in  
17 connection with this case, just like you always were. But  
18 because you've started your testimony and you're being held  
19 subject to recall, I do require you to refrain from discussing  
20 this case or your knowledge of this case with any other  
21 witness or potential witness.

22           Now, to the extent that your job calls on you, for  
23 instance, to consult with the senior medical officer, that

**UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT**

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 would be an anticipated witness in this commission. When your  
2 job requires you to handle issues associated with detainee  
3 matters for this commission, that's fine and that's  
4 acceptable. The line would be easily drawn, though, around  
5 any discussion of the questions that you were posed or the  
6 answers that you provided. And if you have any doubt about  
7 these things, I know that you have the ability to contact the  
8 defense counsel or the trial counsel for clarification as to  
9 these issues.

10 Any questions at this point?

11 WIT: No, Your Honor.

12 MJ [Lt Col ROSENOW]: Any objection to my instruction or  
13 request for further instructions from the government?

14 TC [MR. SHORT]: No, Your Honor.

15 MJ [Lt Col ROSENOW]: Defense Counsel?

16 LDC [MS. HENSLER]: Your Honor, just to clarify, we are  
17 permitted to consult with the witness regarding potential  
18 closed testimony in the interim period?

19 MJ [Lt Col ROSENOW]: That's exactly right. He is not to  
20 discuss his testimony with any other witness or expected  
21 witness. He may discuss these things with both trial and  
22 defense counsel ----

23 LDC [MS. HENSLER]: Thank you.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT



UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 MJ [Lt Col ROSENOW]: ----- as well as their teams.

2 LDC [MS. HENSLER]: Thank you.

3 MJ [Lt Col ROSENOW]: There being no objection, then, or  
4 request for further instructions, sir, thank you for your time  
5 and your testimony. You're excused temporarily.

6 WIT: Thank you, Your Honor.

7 **[The witness was warned, was temporarily excused, and withdrew**  
8 **from the courtroom.]**

9 MJ [Lt Col ROSENOW]: The witness has departed. Given the  
10 information that's been presented, Defense Counsel, are you  
11 prepared to answer the question of whether you would still  
12 like to call the senior medical officer in an open session?

13 DDC [CPT CASCIOLA]: Your Honor, we would defer at this  
14 time on making a decision regarding calling the senior medical  
15 officer. Our understanding is he's not available today  
16 anyway, and we would like to review our notes from the  
17 testimony today, look over the 505 notice we provided, submit  
18 an amended 505 notice, and think through whether or not there  
19 are any topics that we need regarding the senior medical  
20 officer and perhaps maybe recall him -- I'm sorry, call him,  
21 Your Honor, next week.

22 MJ [Lt Col ROSENOW]: Trial Counsel, do you already know  
23 the government's position with respect to calling the senior

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 medical officer for matters that would be taken up in an open  
2 session?

3 TC [MR. SHORT]: Your Honor, based on the chief medical  
4 officer's testimony, anything the senior medical officer with  
5 regard to AE 214 would be cumulative and not necessary and a  
6 waste of the court's -- the commission's time, Your Honor.

7 MJ [Lt Col ROSENOW]: Thank you. Having the position of  
8 the government may help the defense counsel in preparing their  
9 own possession -- position, rather.

10 And then, Government, there's been a proposal from the  
11 defense counsel about the way ahead. Do you have a proposal  
12 as to the way ahead?

13 TC [MR. SHORT]: Your Honor, you mean with regard to the  
14 senior medical officer?

15 MJ [Lt Col ROSENOW]: Or taking up any other matters today  
16 or permitting additional briefing and so on and so forth,  
17 taking potentially testimony next week rather than later this  
18 week. Is this something you would need to consult on or is it  
19 something you're prepared to reply to, like my earlier  
20 question?

21 TC [MR. SHORT]: Your Honor, I think that the defense, in  
22 terms of deferring certain matters to the future so they can  
23 review their notes and so forth, it's fine with the

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 government, and we can, you know, adjust accordingly as the  
2 week goes on and as necessary, Your Honor.

3 I would like to see their refined 505(g) notice, you  
4 know, before -- it would be helpful before going into a  
5 505(h).

6 MJ [Lt Col ROSENOW]: Understood. What does that mean for  
7 the government's position regarding the remainder of today?  
8 What, if anything else could be taken up?

9 TC [MR. SHORT]: Your Honor, I think that was it, right?  
10 The things that were on the docket for today was the senior  
11 medical officer, the chief medical officer, and possibly --  
12 you know, we've reversed that, and then the 505(h). So I  
13 think we're done for the day, Your Honor.

14 MJ [Lt Col ROSENOW]: At least for the record done for the  
15 day. Understood.

16 Defense Counsel, same set of questions and same  
17 concerns about what might be capable of adjudication in an  
18 open session after a lunch break, if anything.

19 LDC [MS. HENSLER]: Your Honor, it's the defense's  
20 position there's nothing else that can be adjudicated in an  
21 open decision today.

22 Again, to reiterate the request, we would ask to be  
23 permitted to file an amended narrowed 505 notice. We

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 accomplished, we think, a lot today in the testimony, so we  
2 need to, as a team, do our diligence and determine what else  
3 we may need in a closed session from the CMO and whether there  
4 is, indeed, anything to be gained from testimony from the SMO,  
5 but we will need some time to do that deliberation.

6 MJ [Lt Col ROSENOW]: When you say time, do you mean more  
7 than the remainder of today, as I understand it?

8 LDC [MS. HENSLER]: Yes, sir.

9 MJ [Lt Col ROSENOW]: Could you state the defense's  
10 position with regard to a narrowing of proposed lines of  
11 inquiry in a closed setting involving the CMO and the need, if  
12 any, for the SMO and, if there is a need for the SMO, the  
13 anticipated scope of testimony inside and outside would better  
14 in an open and closed session by the end of the day tomorrow?

15 LDC [MS. HENSLER]: Yes, Your Honor.

16 MJ [Lt Col ROSENOW]: Thank you. If the defense is able  
17 to meet that standard, is the government anticipating a  
18 response in writing?

19 TC [MR. SHORT]: I would reserve absolutely a response in  
20 writing. I believe we've already -- our 505(h) request would  
21 take care of any additional information -- you know, would  
22 cover if they're narrowing the scope of their 505(g) notice or  
23 giving additional particularization of that. So I reserve,

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 absolutely, to see what it is and if we have to, you know, put  
2 in writing, but I think the commission is aware of our  
3 position in terms of going forward.

4 MJ [Lt Col ROSENOW]: I ask that question because one of  
5 the answers you were able to provide is we would object, full  
6 stop, to the need for the SMO to testify to anything in either  
7 setting. And I want to make sure that you have a briefing  
8 opportunity like the defense is getting a briefing  
9 opportunity. This is a little bit backwards, because normally  
10 we rely on written filings and then it's -- if you're lucky or  
11 if the circumstances require it, you get the opportunity for  
12 oral advocacy, too.

13 So if the defense were able to meet that standard of  
14 tomorrow by the end of the day filing, are you asking for the  
15 opportunity to respond by the end of Thursday in writing with  
16 a government position, or, instead, would you be prepared to  
17 get on the record Thursday?

18 TC [MR. SHORT]: Yes, Your Honor, either. However, I  
19 do -- you know, I temper that a little bit because there's  
20 been times where, you know, if it's just narrowing of the  
21 505(g), that's one thing. That's an easy -- that's an easy  
22 shot. However, you know, if there's advocacy and, you know,  
23 further argument involved in any pleading, then we would have

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 to maybe even need additional time. But I would think  
2 that's -- as it sits right now and how it's couched right now,  
3 that's appropriate, Your Honor.

4 MJ [Lt Col ROSENOW]: Thank you. Give me one moment.

5 [The military judge conferred with courtroom personnel.]

6 MJ [Lt Col ROSENOW]: As best I can, and subject to later  
7 developments, I've been able to confirm the notional  
8 availability of logistical support for us to be back on the  
9 record on Friday if the circumstances align and everything  
10 develops in the direction we're setting here.

11 So the direction of the commission, with agreement  
12 from the defense that this timeline works, is for them to  
13 return back the answers that I had asked for on the issues  
14 previously identified by the end of the day on Wednesday, and  
15 the end of the day would mean 1730, please, local tomorrow.

16 The government will then be provided the opportunity  
17 until 1730 local on Thursday to file any responsive pleadings  
18 to those issues that were previously identified from the  
19 defense and that come in on Wednesday.

20 And everyone should be prepared for the possibility of  
21 returning here at 0830 on Friday to either take up oral  
22 argument on these matters, if that's required or appropriate,  
23 to -- if the SMO becomes available and this commission ends up

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 determining that we should hear from the SMO, to take up that  
2 testimony inside an open session, and then potentially  
3 pivoting into the 505 setting that we've talked about in a few  
4 different circumstances so far.

5 I would at least leave open the possibility of being  
6 able to return to you a decision, with a written ruling later  
7 to follow, on the necessity of closing under 806 and then  
8 taking up in a classified setting additional testimony from  
9 one or, if there are two, two of those individuals that are  
10 involved, the CMO and the SMO. That will require some  
11 flexibility, I understand and I appreciate that, from the  
12 support staff, but then we will at least all be prepared if  
13 the maximum of work is accomplished on that day and the full  
14 measure of opportunities for testimony from both witnesses are  
15 requested by the defense and granted by the commission.

16 Does that work for the government as a way ahead?

17 TC [MR. SHORT]: Yes, Your Honor.

18 MJ [Lt Col ROSENOW]: Any objection or request for  
19 clarification from the government before I go to the defense?

20 TC [MR. SHORT]: No, Your Honor.

21 MJ [Lt Col ROSENOW]: Defense Counsel, same questions?

22 LDC [MS. HENSLER]: Your Honor, my only request would be a  
23 logistical one, that the testimony of the SMO, if necessary,

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 occur at the end of next week. The reason is to free up the  
2 rest of this week for the parties to attend to other matters.  
3 Also, it's our understanding the SMO is available next week  
4 and that his -- so the immediacy of his testimony is not  
5 necessarily -- the need is quite as acute.

6 I'm unaware of whether or not the CMO is available  
7 next week. If he is, I suppose I would extend the same  
8 request, simply to free up the schedule as much as possible  
9 this week to the parties.

10 MJ [Lt Col ROSENOW]: Back to you, Government. If you  
11 have any awareness of their availability, you can state it  
12 now.

13 TC [MR. SHORT]: I don't have awareness of their  
14 availability for next week. I do think the CMO is tight, but  
15 I'll check with the senior medical officer, Your Honor.

16 MJ [Lt Col ROSENOW]: Thank you. And that's information  
17 that could be provided in your response on Thursday, if you  
18 choose to provide it, and we'll go from there.

19 At present, let's plan as if there's a possibility for  
20 Friday, with certainly the flexibility, if it's available,  
21 likely to be taken by the commission. If all things are equal  
22 and those individuals remain available at the end of next  
23 week, that would be the commission's preference, too.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT



UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 LDC [MS. HENSLER]: One separate but related request, Your  
2 Honor. You gave -- provided us criteria on the record for our  
3 filing tomorrow. Given that the transcript of today's  
4 proceedings may be -- may not be available until much later  
5 today or tomorrow morning, I would simply ask that, in some  
6 way, this ruling be reduced to writing so that we are meeting  
7 Your Honor's expectations with respect to that filing.

8 MJ [Lt Col ROSENOW]: Certainly. I will recapitulate for  
9 it. I think it's pretty straightforward.

10 The remaining questions are what we had cast as  
11 potentially managing in the amended version of the scheduling  
12 order. So the first and immediate question is whether or not  
13 the defense is still seeking to use any of these matters in  
14 additional examination of the CMO. And I say these matters,  
15 meaning classified matters. That's the first question. If  
16 the answer is yes, what portions in reference back to  
17 214C (Sup).

18 And then the next issue is, yes or no, we intend to  
19 call the SMO. And if the answer to that is yes, in an open  
20 session or in an open session and a closed session; and if  
21 there is a closed session, the same kind of reference out to  
22 214C (Sup), which says we would want to adduce this particular  
23 evidence.

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 I can provide further detail if there's any concern  
2 from either of the parties, but I do not wish to  
3 overcomplicate this. It's merely a matter of you being able  
4 to, as I think the government's pointed out, narrow. So we  
5 already have a superset. It's really about what has been  
6 cleaved or what has been removed by your decision.

7 LDC [MS. HENSLER]: Thank you.

8 MJ [Lt Col ROSENOW]: Is that sufficient for you to be  
9 oriented, Defense Counsel?

10 LDC [MS. HENSLER]: Yes, it is. Thank you.

11 MJ [Lt Col ROSENOW]: Government, are you still oriented?

12 TC [MR. SHORT]: Yes, Your Honor.

13 MJ [Lt Col ROSENOW]: Trial Counsel, is there anything  
14 else to take up before the commission goes into recess?

15 TC [MR. SHORT]: Your Honor, just one quick thing. Since  
16 I guess this afternoon opens up, we do have an M.C.R.E. 505(f)  
17 presentation scheduled for tomorrow morning. We would be  
18 flexible if you needed to take it up this afternoon or wanted  
19 to; if not, we can leave it on the schedule for tomorrow,  
20 which is fine.

21 MJ [Lt Col ROSENOW]: I'm seeing no disagreement from my  
22 staff, which suggests to me that they can accommodate that.  
23 Would 1500 work for the government so that there's a break and

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT

1 an opportunity to reorganize?

2 TC [MR. SHORT]: It should work fine, Your Honor. And I  
3 will make some appropriate arrangements.

4 MJ [Lt Col ROSENOW]: And again, seeing no disagreement  
5 from the staff, we'll plan then on 1500 -- defense counsel.  
6 Excuse me.

7 Anything additional to take up?

8 LDC [MS. HENSLER]: No, Your Honor. Thank you.

9 MJ [Lt Col ROSENOW]: Thank you. The commission will then  
10 be in recess until we return back, which could be in an open  
11 session as soon as Friday or potentially some later time next  
12 week. Thank you.

13 [The R.M.C. 803 session recessed at 1205, 7 June 2022.]

14 [END OF PAGE]

15

16

17

18

19

20

21

22

23

UNOFFICIAL/UNAUTHENTICATED TRANSCRIPT